

STATE OF CONNECTICUT

SITING COUNCIL

* * * * *


CONNECTICUT LIGHT & POWER COMPANY
AND UNITED ILLUMINATING COMPANY

APPLICATION FOR A CERTIFICATE OF ENVIRONMENTAL COMPATIBILITY AND PUBLIC NEED FOR THE CONSTRUCTION OF A NEW 345-kV ELECTRIC TRANSMISSION LINE AND ASSOCIATED FACILITIES BETWEEN THE SCOVILL ROCK SWITCHING STATION IN MIDDLETOWN AND THE NORWALK SUBSTATION IN NORWALK, CONNECTICUT

* * * * *

APRIL 20, 2004
(10:07 A.M.)

DOCKET NO. 272



BEFORE: PAMELA B. KATZ, CHAIRMAN

BOARD MEMBERS: Colin C. Tait, Vice Chairman
 Brian Emerick, DEP Designee
 Gerald J. Heffernan, DPUC Designee
 Daniel P. Lynch, Jr.
 Edward S. Wilensky
 Philip T. Ashton
 Brian O'Neill
 James J. Murphy, Jr.

STAFF MEMBERS: S. Derek Phelps, Executive Director
 Robert Erling, Senior Siting Analyst
 Fred O. Cunliffe, Siting Analyst
 Robert L. Marconi, AAG

APPEARANCES:

FOR THE APPLICANT, CONNECTICUT LIGHT & POWER COMPANY:

CARMODY & TORRANCE, LLP
 195 Church Street
 P.O. Box 1950
 New Haven, Connecticut

BY: ANTHONY M. FITZGERALD, ESQUIRE
 BRIAN T. HENEGBRY, ESQUIRE

FOR THE APPLICANT, UNITED ILLUMINATING COMPANY:

WIGGIN & DANA, LLP
One Century Tower
P.O. Box 1832
New Haven, Connecticut 06508-1832
BY: LINDA L. RANDELL, ATTORNEY
BRUCE L. McDERMOTT, ESQUIRE

FOR THE PARTY, THE CITY OF MERIDEN:

DEBORAH L. MOORE, ATTORNEY
142 East Main Street
Room 239
Meriden, Connecticut 06450

FOR THE PARTIES, THE TOWN OF WESTON AND
THE TOWN OF WOODBRIDGE:

COHEN & WOLF
1115 Broad Street
Bridgeport, Connecticut 06604
BY: DAVID BALL, ESQUIRE

FOR THE PARTY, THE TOWN OF MILFORD:

HURWITZ & SAGARIN
147 North Broad Street
Box 112
Milford, Connecticut 06460
By: JULIE DONALDSON KOHLER, ATTORNEY

FOR THE PARTIES, THE TOWN OF WALLINGFORD AND
THE TOWN OF DURHAM:

HALLORAN & SAGE
One Goodwin Square
225 Asylum Street
Hartford, Connecticut 06103
BY: PETER BOUCHER, ESQUIRE

FOR THE PARTY, THE TOWN OF ORANGE:

SOUSA, STONE & D'AGOSTO
375 Bridgeport Avenue
Box 805
Shelton, Connecticut 06084
BY: BRIAN M. STONE, ESQUIRE

FOR THE PARTY, THE TOWN OF WILTON:

COHEN & WOLF
158 Deer Hill Avenue
Danbury, Connecticut 06810
BY: MONTE E. FRANK, ESQUIRE

FOR THE PARTY, ATTORNEY GENERAL BLUMENTHAL:

MICHAEL WERTHEIMER
Assistant Attorney General
Ten Franklin Square
New Britain, Connecticut 06051

FOR THE PARTY, THE OFFICE OF CONSUMER COUNSEL:

BRUCE C. JOHNSON, ESQUIRE
Office of Consumer Counsel
Ten Franklin Square
New Britain, Connecticut 06051

FOR THE PARTY, THE TOWN OF NORTH HAVEN:

UPDIKE, KELLY & SPELLACY
One State Street
Box 231277
Hartford, Connecticut 06123
BY: BENJAMIN J. BERGER, ESQUIRE

FOR THE PARTY, THE WOODLANDS COALITION FOR
RESPONSIBLE ENERGY:

PULLMAN & COMLEY
90 State House Square
Hartford, Connecticut 06103
BY: LAWRENCE J. GOLDEN, ESQUIRE

FOR THE PARTY, PSEG POWER CONNECTICUT LLC:

MCCARTER & ENGLISH
Cityplace I
185 Asylum Street
Hartford, Connecticut 06103
BY: DAVID REIF, ESQUIRE
JANE K. WARREN, ATTORNEY
JOEL B. CASEY, ESQUIRE

FOR THE INTERVENOR, ISO NEW ENGLAND:

WHITMAN, BREED, ABBOTT & MORGAN
100 Field Point Road
Greenwich, Connecticut 06830
BY: ANTHONY MacLEOD, ESQUIRE

FOR THE INTERVENOR, WOODBRIDGE JEWISH
ORGANIZATIONS:

BRENNER, SALTZMAN & WALLMAN
271 Whitney Avenue
New Haven, Connecticut 06511
BY: DAVID R. SCHAEFER, ESQUIRE

FOR THE INTERVENOR CONNECTICUT BUSINESS & INDUSTRY
ASSOCIATION:

ROBERT E. EARLEY, ESQUIRE
350 Church Street
Hartford, Connecticut 06103

FOR THE INTERVENOR, THE CONNECTICUT DEPARTMENT OF
TRANSPORTATION:

CHARLES W. WALSH, III, AAG
EILEEN MESKILL, AAG
Office of the Attorney General
55 Elm Street
Hartford, Connecticut 06106

FOR THE PARTY, THE TOWN OF WESTPORT:

WAKE, SEE, DIMES & BRYNICZKA
27 Imperial Avenue
Westport, Connecticut 06880
BY: EUGENE E. CEDERBAUM, ESQUIRE

FOR THE PARTY, SOUTH CENTRAL CONNECTICUT WATER
AUTHORITY:

MURTHA CULLINA LLP
Cityplace I
185 Asylum Street
Hartford, Connecticut 06103
BY: ANDREW W. LORD, ESQUIRE

FOR THE PARTY, THE CITY OF NORWALK:
LOUIS CICCARELLO, ESQUIRE
Corp. Counsel

FOR THE PARTY, THE TOWN OF CHESHIRE:
RICHARD J. BURTURLA, ESQUIRE

FOR THE PARTY, THE CITY OF MIDDLETOWN:
TIMOTHY P. LYNCH, ESQUIRE

FOR THE PARTY, THE TOWN OF MIDDLEFIELD:
BRANSE & WILLIS, LLC
ERIC KNAPP, ESQUIRE

FOR THE PARTY, THE CITY OF BRIDGEPORT:
MELANIE J. HOWLETT, ESQUIRE

FOR THE PARTY, COMMUNITIES FOR RESPONSIBLE ENERGY:
TRISH BRADLEY

A PARTY, THE TOWN OF EASTON

A PARTY, THE TOWN OF BETHANY

AN INTERVENOR, THE TOWN OF FAIRFIELD

AN INTERVENOR, THE FIRST DISTRICT WATER COMPANY

AN INTERVENOR, NORWALK ASSOCIATION OF SILVERMINE
HOMEOWNERS

A PARTY, ROBERT W. MEGNA, STATE REP. 97th DISTRICT

AN INTERVENOR, MARY G. FRITZ, STATE REP. 90th
DISTRICT

AN INTERVENOR, AL ADINOLFI, STATE REP. 103rd
DISTRICT

AN INTERVENOR, RAYMOND KALINOWSKI, STATE REP. 100th
DISTRICT

AN INTERVENOR, THEMIS KLARIDES, STATE REP. 114th
DISTRICT

AN INTERVENOR, JOHN E. STRIPP, STATE REP. 135th
DISTRICT

AN INTERVENOR, WILLIAM ANISKOVICH, STATE REP.
12th SEN. DISTRICT

AN INTERVENOR, JOSEPH CRISCO, JR., STATE REP.
17th SEN. DISTRICT

AN INTERVENOR, LEONARD FASANO, STATE REP.
34th SEN. DISTRICT

HEARING RE: CL&P and UI
APRIL 20, 2004

1 . . .Verbatim proceedings of a hearing
2 before the State of Connecticut Siting Council in the
3 matter of an application by Connecticut Light & Power
4 Company and United Illuminating Company, held at Central
5 Connecticut State University Institute of Technology &
6 Business, 185 Main Street, New Britain, Connecticut, on
7 April 20, 2004 at 10:07 a.m., at which time the parties
8 were represented as hereinbefore set forth . . .

9

10

11 CHAIRMAN PAMELA B. KATZ: I'd like to call
12 this to order, this continuation of a public hearing on
13 Docket 272.

14 The plan is that today and tomorrow we
15 will be discussing Segments 3 and 4 of the proposed line.

16 This is the area from East Devon to Norwalk. On
17 Thursday we're going to be discussing some of the system
18 alternatives to the proposed transmission line.

19 At this point, I'd like -- I'm going to
20 ask the court reporter, Tony Vanacore, because Mr.
21 Marconi is in traffic, to please swear in some witnesses.

22 Miss Randell and Mr. Fitzgerald, do you want to identify
23 who is going to be sworn.

24 MR. ANTHONY FITZGERALD: Yes, please. And

HEARING RE: CL&P and UI
APRIL 20, 2004

1 I should probably refer to the hearing program at page 4.
2 And I'll ask the witnesses to stand in the order in which
3 they're listed in the program. First is Jay Williams,
4 Principal Engineer, Power Delivery Consultants; Brian
5 Gregory, Technical Director, Cable Consulting
6 International, Inc.; James Hogan of Burns & McDonnell; and
7 Louise Mango, Phenix Environmental, Inc. The other
8 witnesses have been previously sworn.

9 CHAIRMAN KATZ: Mr. Vanacore, do you need
10 any spellings?

11 COURT REPORTER: Yes.

12 CHAIRMAN KATZ: Why don't you sit down by
13 the microphone and --

14 COURT REPORTER: Please be seated. Give
15 us your name again and please put your address on the
16 record, and then we'll swear you all at once, starting
17 with --

18 MR. JAY WILLIAMS: My name is Jay --
19 excuse me -- Jay, J-a-y, Williams. My company is Power
20 Delivery Consultants, Incorporated. The business address
21 is 28 Lundy Lane, L-u-n-d-y, Lane. The Town is Ballston
22 Lake, B-a-l-l-s-t-o-n, Lake, New York.

23 MR. BRIAN GREGORY: My name is Brian
24 Gregory, B-r-i-a-n, from the United Kingdom. And I'm the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Technical Director of Cable Consulting International
2 Limited. Our address is P.O. Box 1, 7 Oaks in Kent.

3 MS. LOUISE MANGO: I am Louise Mango, L-o-
4 u-i-s-e. The last name is M-a-n-g-o. I'm with Phenix
5 Environmental, Inc. It's spelled P-h-e-n-i-x. My
6 address is 3 Orange Pippin Road, Sandy Hook, Connecticut.

7 MR. JAMES HOGAN: My name is James Hogan
8 with Burns & McDonnell Engineering. Hogan is spelled H-o-
9 g-a-n. And McDonnell is spelled M-c-D-o-n-n-e-l, 9400
10 Ward Parkway, Kansas City, Missouri.

11 COURT REPORTER: Would you stand please
12 and raise your right hand -- is that all of them?

13 MR. FITZGERALD: That's all that have not
14 been previously sworn.

15 (Whereupon, Jay Williams, Brian Gregory,
16 Louise Mango and James Hogan were duly sworn in.)

17 COURT REPORTER: Thank you. You may be
18 seated.

19 CHAIRMAN KATZ: Okay. I'm --

20 COURT REPORTER: They've been sworn.

21 CHAIRMAN KATZ: Thank you. Mr.
22 Fitzgerald, do you want to identify which exhibits you'd
23 like to have admitted today.

24 MR. FITZGERALD: Yes. Mr. Zaklukiewicz,

HEARING RE: CL&P and UI
APRIL 20, 2004

1 would you please turn to page 13 of the hearing program,
2 and calling your attention to the -- well just let me
3 make the statement that listed, starting with Item 47,
4 are items that have been submitted to the Council since
5 the last hearings, which include responses to data
6 requests, errata pages, prefiled testimony relating to
7 this hearing -- and directing your attention to Items 47,
8 48, 49, 50, 51, 54, 55, 56, 57 and 58, are those -- is
9 the -- are the statements made in those documents true
10 and correct to the best of your knowledge and belief?

11 MR. ROGER ZAKLUKIEWICZ: My name is Roger
12 Zaklukiewicz. And yes, they are.

13 MR. FITZGERALD: Alright. Now with the
14 qualification we have some errata in the prefiled
15 testimony, which I will ask you to identify in a moment,
16 but passing now to Miss Mango, Miss Mango directing your
17 attention to Item No. 53 on the prehearing program, your
18 prehearing testimony, with the exception of the errata
19 that you will shortly identify, is that testimony true
20 and correct to the best of your belief?

21 MS. MANGO: Yes, it is.

22 MR. FITZGERALD: Alright. Now, Mr. Zak
23 and Miss Mango, we have prepared -- or you have prepared
24 some errata sheets related to the prehearing -- the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 recently filed prehearing testimony. And I would ask --
2 we have copies that can be handed out -- and I'd ask that
3 it be marked as an exhibit for identification at this
4 time --

5 COURT REPORTER: Madam Chair --

6 CHAIRMAN KATZ: Yeah. Mr. Fitzgerald,
7 we've requested that you move that mic closer so the
8 audience can hear you.

9 MR. FITZGERALD: I've just handed to Mr.
10 Cunliffe a written errata sheet that will memorialize, I
11 think with one exception, the corrections that the
12 witnesses are about to make to the supplemental prefiled
13 testimony.

14 CHAIRMAN KATZ: Do you want to make this
15 errata sheet Exhibit 59?

16 MR. FITZGERALD: Yes, please.

17 CHAIRMAN KATZ: Okay. And you have copies
18 for the other parties?

19 MR. FITZGERALD: Yes. They will be served
20 electronically today, but we also have copies that people
21 can help themselves to.

22 CHAIRMAN KATZ: Thank you.

23 MR. FITZGERALD: What --

24 A VOICE: They're being made right now.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. FITZGERALD: Copies are being made now
2 I'm informed.

3 CHAIRMAN KATZ: Okay. So you'll --

4 MR. FITZGERALD: They will be available
5 for pickup today --

6 CHAIRMAN KATZ: Your minions can pass them
7 out as they come in --

8 MR. FITZGERALD: Yeah.

9 CHAIRMAN KATZ: Great, thank you.

10 MR. FITZGERALD: Now starting with you,
11 Mr. Zaklukiewicz, would you please review for the Council
12 the corrections to your prefiled testimony of April 8th.

13 MR. ZAKLUKIEWICZ: Certainly. At the top
14 of page 36 in the sentence which begins given the
15 equipment described above, the enclosed area of Singer
16 Substation will be approximately, and in my testimony it
17 was 1.58 acres, that should read will be approximately
18 1.5 acres instead of 1.58 acres.

19 And in the very last sentence on page 39,
20 the sentence which begins for instance, DOT's suggested
21 restriction on hours of operation, that should read DOT's
22 suggested restriction on hours of construction would
23 inhibit continuous splicing operations. So the word
24 operation should be crossed out and the word construction

HEARING RE: CL&P and UI
APRIL 20, 2004

1 replacing the word operation. And that is the extent of
2 my changes.

3 MR. FITZGERALD: Miss Mango, would you
4 please review for the Council the changes in your errata
5 sheet?

6 MS. MANGO: Yes. I have changes to my
7 prefiled testimony on page 20, the second bullet, which
8 in my testimony encompass lines 488 through 490. It has
9 now been changed to read acquisition of easements over
10 about 49.5 acres of privately owned lands for the
11 expanded overhead right-of-way in Segments 3 and 4, and
12 approximately two to four acres of privately owned land
13 for the Hawthorne Transition Station (in addition to
14 underground easements over approximately 2.4 acres).

15 I also have revisions to page 22, original
16 lines 547 to 548, which constitutes the third bullet.
17 And that bullet now reads acquisition of easements over
18 about 111.1 acres of privately owned land for the
19 expanded overhead right-of-way in Segments 3 and 4 (in
20 addition to underground easements over approximately one
21 acre).

22 I also have one small change that was not
23 listed in my errata and that is on page 10, line 241,
24 which presently refers to Volume 11, Map Segment 221, and

HEARING RE: CL&P and UI
APRIL 20, 2004

1 that should be Volume 12.

2 MR. FITZGERALD: Alright. Now, I would
3 ask that the Council accept as full exhibits the items
4 listed on the hearing program as CL&P Exhibit Numbers 47
5 through 51, and 53 through 59.

6 CHAIRMAN KATZ: Is there any objection to
7 making those full exhibits? Seeing none, we will make
8 them full exhibits. And please note just for your
9 records that Item 52 will be taken up in May.

10 (Whereupon, Applicants' Exhibits Nos. 47
11 through 51 and Nos. 53 through 59 were received into
12 evidence as full exhibits.)

13 CHAIRMAN KATZ: At this point are there
14 any procedural issues before we proceed with cross-
15 examination of this panel?

16 MR. FITZGERALD: I think that you were
17 going to interrupt to take --

18 CHAIRMAN KATZ: Yes. We could -- is the
19 PSEG witness available?

20 A VOICE: (Indiscernible) --

21 CHAIRMAN KATZ: Okay. We will wait on
22 that. Cross-examination. First is State Representative
23 Al Adinolfi. Let the record show that Mr. Adinolfi is
24 not present. Second is the Towns, represented by

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Attorney Kohler.

2 MS. JULIE DONALDSON KOHLER: On behalf of
3 Milford, no cross-examination.

4 CHAIRMAN KATZ: Milford has no cross-
5 examination. Mr. Ball, do -- any cross-examination?

6 MR. DAVID BALL: Not on behalf of the Town
7 of Woodbridge.

8 CHAIRMAN KATZ: Not on behalf of the Town
9 of Woodbridge. I think that covers that. Next, the City
10 of Norwalk, cross-examination? Next -- oh -- next is the
11 Town of Westport. Mr. Cederbaum, cross-examination? We
12 could put him at a microphone --

13 MR. EUGENE CEDERBAUM: Madam --

14 CHAIRMAN KATZ: We're going to get you a
15 chair --

16 MR. CEDERBAUM: Madam -- thank you, Madam
17 Chairman, but I wondered if I could --

18 COURT REPORTER: Sir, would you identify
19 yourself please.

20 MR. CEDERBAUM: Certainly. Eugene
21 Cederbaum of the firm of Wake, See, Dimes & Bryniczka in
22 Westport representing the Town of Westport.

23 COURT REPORTER: Could you drop your card
24 off to me before you --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. CEDERBAUM: I certainly will. I
2 wonder if I could ask the indulgence of the Council. Mr.
3 Ball and Mr. Frank will be conducting cross-examination
4 on behalf of Wilton and Weston. We have discussed the
5 cross-examination and it seems to make more sense for
6 Westport to supplement that cross-examination after
7 Wilton and Weston. It would probably be quicker and more
8 effective --

9 CHAIRMAN KATZ: Okay --

10 MR. CEDERBAUM: -- and more comprehensive.

11 CHAIRMAN KATZ: -- we can do that.

12 A VOICE: And assuming it's going to be
13 brief.

14 CHAIRMAN KATZ: Yes.

15 MR. CEDERBAUM: Or -- or if it serves the
16 Council's best interests, Wilton and Weston might go in
17 place of us and then we'll finish, however you'd like to
18 --

19 CHAIRMAN KATZ: We'll take up Westport
20 after Wilton and Weston.

21 MR. CEDERBAUM: Thank you very much, Madam
22 Chairman.

23 CHAIRMAN KATZ: Okay, let me just go
24 through the list then and we'll probably be there

HEARING RE: CL&P and UI
APRIL 20, 2004

1 shortly. The City of Meriden, Attorney Moore? Let the
2 record show not present. Attorney General Michael
3 Wertheimer --

4 A VOICE: Assistant Attorney General.

5 CHAIRMAN KATZ: I'm sorry -- (laughter) --

6 A VOICE: Let's not get ahead of ourselves
7 -- (laughter) --

8 MR. MICHAEL WERTHEIMER: No questions,
9 thank you.

10 CHAIRMAN KATZ: Mr. Wertheimer said no
11 questions, but he appreciates the promotion.

12 Communities for Responsible Energy? I
13 think we'll be seeing them in May. Office of Consumer
14 Counsel, Mr. Johnson?

15 MR. BRUCE JOHNSON: I have no questions
16 for this panel from our agency, Your Honor.

17 CHAIRMAN KATZ: Mr. Johnson said no
18 questions. Woodland Coalition, Attorney Golden.

19 MR. LAWRENCE GOLDEN: Yes.

20 CHAIRMAN KATZ: Can we get you a chair
21 down at the end here -- or how -- where do you want to
22 put him?

23 MS. LINDA RANDELL: We thought we'd move
24 down and --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 CHAIRMAN KATZ: Yes -- yes. We're going
2 to put you -- that's better.

3 (Pause).

4 CHAIRMAN KATZ: Mr. Golden, if you could
5 just start out for the record identifying yourself.

6 MR. GOLDEN: Sure. Good morning, panel.
7 My name is Larry Golden and I am counsel for the
8 Woodlands Coalition.

9 I have a couple of questions about
10 reliability for Segments 3 and 4. In the ISO's
11 testimony, prefiled testimony, Mr. Whitley cautioned
12 about indiscriminately substituting underground cable for
13 overhead transmission lines. I wondered if the
14 Applicants could -- in regard to your proposal, just on 3
15 and 4, please explain your reasons for choosing
16 underground cable?

17 MR. ZAKLUKIEWICZ: Certainly. When we
18 reviewed the alternatives for overhead construction in
19 Segments 3 and 4, we were cognizant of the concerns being
20 raised by the Towns, the chief elected officials and the
21 property owners along the existing right-of-way. And it
22 was clear that to extend a 345,000-volt overhead
23 transmission line from the East Devon Substation area to
24 Norwalk would require the taking of properties, the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 taking of personal homes and businesses in order to
2 accommodate a 345,000-volt overhead transmission line
3 between East Devon down to the Singer Substation, which
4 is in Bridgeport, and then from the Bridgeport area at
5 Singer Substation to the Norwalk Substation.

6 We then looked for alternative routes and
7 recognized that the alternatives of going down public
8 corridors, such as highways, such as railroads, were not
9 feasible. We then looked for other alternatives. And
10 one of those of course is to place the transmission line
11 underground. We reviewed in appreciable detail all the
12 different routes that would connect East Devon, Singer,
13 and Norwalk Substations. And in our proposal put forth
14 with the application, we believe -- with a few minor
15 changes to the application, we believe we have an
16 alternative, which is an underground alternative, using
17 high pressure fluid filled cable, approximately eight
18 miles between the East Devon and Singer Substation and
19 approximately 16 miles from Singer to Norwalk Substation,
20 putting in two circuits for each of the legs, and -- that
21 results in a shorter length of line between East Devon,
22 Singer and Norwalk than would be possible with an
23 overhead transmission line. It also precludes the
24 necessity to obtain additional rights-of-way or to take

HEARING RE: CL&P and UI
APRIL 20, 2004

1 properties and/or structures.

2 MR. GOLDEN: And I take it that -- oh, I'm
3 sorry.

4 MS. ANNE BARTOSEWICZ: In addition, when
5 doing the evaluation between using the overhead rights-
6 of-way and the underground, the cost factor was looked
7 at. And when you added up the costs for the
8 alternatives, they came close to being equal.

9 MR. BRIAN EMERICK: Madam Chairman.

10 CHAIRMAN KATZ: Mr. Emerick.

11 MR. EMERICK: Just a follow-up on cost.
12 The application mentions cost as a factor a number of
13 times. Is there somewhere in the application that
14 identifies the right-of-way costs for A and B? It
15 actually breaks it down specifically?

16 MS. BARTOSEWICZ: Do you mean the right-
17 of-way acquisition cost?

18 MR. EMERICK: Right.

19 MS. BARTOSEWICZ: In -- in the application
20 it does not. In a data request we identified detailed
21 cost estimates, and there is a summary of property costs.

22 MR. EMERICK: Could you identify what data
23 request that is please?

24 MR. ZAKLUKIEWICZ: It should be in

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Interrogatory DW-031.

2 MR. EMERICK: And when do we get that? Is
3 that something we just got?

4 A VOICE: No --

5 MR. ZAKLUKIEWICZ: No --

6 MR. EMERICK: It's been --

7 MR. ZAKLUKIEWICZ: -- it was filed before
8 the previous hearings.

9 MR. EMERICK: Okay, thank you.

10 A VOICE: January 7 --

11 MR. ZAKLUKIEWICZ: January 7th.

12 MR. EMERICK: Okay, thank you.

13 MR. GOLDEN: Now in -- and Mr. Zak, I'll
14 direct this one to you -- in Phase I, Configuration X,
15 which was certified by the Council, involves under-
16 grounding -- an underground cable of somewhere between 11
17 and 12 miles approximately. In this application you have
18 proposed a 24-mile underground cable in Segment 3 and 4.

19 Could you please explain to the Council why you believe
20 that construction of cable of this length will be
21 reliable and will allow you to operate the system
22 reliably?

23 MR. ZAKLUKIEWICZ: I believe -- when you
24 referenced Docket 217, we're talking about X prime -- X -

HEARING RE: CL&P and UI
APRIL 20, 2004

1 -

2 MR. GOLDEN: Correct.

3 MR. ZAKLUKIEWICZ: Okay. I believe we
4 heard in Docket 217 don't come to us in the docket that
5 we know of today as 272 with alternatives that you could
6 do better to begin with, so I -- I believe we're -- if
7 you will, an analogy, we're kind of like the boxer who
8 sticks his chin out and says hit me. We put forth what
9 we believe to be an alternative which when installed we
10 will be able to operate and be able to operate in a
11 fairly reliable manner. It is, in my judgment, the limit
12 as to what we can operate in a reliable manner. And as
13 the ISO testified at the March hearings, they are still
14 studying specific cases where the system is still not
15 responding in a manner that makes them feel comfortable
16 that it's a reliable system. I personally believe we can
17 overcome those. And what has been proposed in my mind
18 can be built and can be operated.

19 MR. GOLDEN: Does the -- compared with
20 Phase I, does the difference in topography and the
21 existence of generating stations along the route allow
22 you to construct a longer underground cable?

23 MR. ZAKLUKIEWICZ: Well it's clear in the
24 217 docket we had concerns over the weakness of the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Plumtree Substation and the fact that we were hanging a
2 long section of cable onto that system. Where we're
3 looking at the Middletown to Norwalk Project, we are
4 looking at the terminus of the cable systems at Devon and
5 at Singer Substation, those two locations having
6 significant generation located at the terminals of those
7 substations or in close proximity to those substations,
8 which makes the overall system stronger. And by making
9 the system stronger, it alleviates some of the voltage
10 concerns that you would have if you had an extremely weak
11 system, for which there would be virtually no control of
12 the voltages under certain operating conditions.

13 MR. GOLDEN: Now, Mr. Zak, I referred to
14 this as a 24-mile line. Is it actually two separate
15 lines totaling 24 miles, one from East Devon Substation
16 to the Singer Substation and then one from Singer to
17 Norwalk?

18 MR. ZAKLUKIEWICZ: That -- that is a
19 correct -- a correct depiction. It's two sections. The
20 first being from East Devon to Singer of eight miles.
21 And there will be two cables, each capable of
22 approximately 600 mVa. And then from Singer to Norwalk,
23 the length of those two cable segments will be
24 approximately 16 miles long, terminating at each of the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 locations into circuit breakers with reactors.

2 MR. EMERICK: Madam Chairman.

3 CHAIRMAN KATZ: Mr. Emerick.

4 MR. EMERICK: Yeah. I'm not sure if this
5 is a question better fit for when we do specifically
6 under-grounding, but I'll ask it and maybe we'll defer.
7 In 217 we spent quite a bit of time I guess in process
8 developing what I refer to as the reliability table for
9 cables, or fault rates. Is the information in the table
10 that we developed in that docket still applicable in this
11 docket?

12 MR. ZAKLUKIEWICZ: I would defer that
13 question to Mr. Gregory who developed that table for us
14 in Docket 217.

15 MR. GREGORY: Yes, it -- it is still
16 applicable.

17 MR. EMERICK: Okay. Okay, thank you. One
18 further question. When we talk about cable lengths,
19 while the overall distance is 24 miles, how many actual
20 miles of cable do we have? Isn't it really double that?

21 MR. ZAKLUKIEWICZ: Yes, it is. There's --
22 there's two cables in each one of the sections. So in
23 total we would be speaking of 48 miles of high pressure
24 fluid filled cable.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. EMERICK: Okay, thank you.

2 MR. GOLDEN: In his testimony, Mr. Whitley
3 also expressed some concern of the length of the
4 underground cable not undermine short-circuit mitigation
5 efforts, which are part of the overall Phase II project.

6 Do you have an opinion as to whether your proposal will
7 undermine short-circuit mitigation efforts?

8 MR. ZAKLUKIEWICZ: The fact that we're
9 placing 345,000-volt transmission facilities in the area
10 will allow the generation at Devon, whether it be the
11 Devon units as we know them today, which are Units 7 and
12 8 and gas turbines 11, 12, 13 and 14, and the two Milford
13 generating units to be placed within a short distance
14 onto the 345-kV system, which will reduce significantly
15 the short-circuit input from those units. And at the
16 Singer Substation it is our proposal to connect the
17 Bridgeport energy plant directly onto the 345-kV system.

18 And the impedances between the generating -- generator
19 step-up transformers and then the autotransformer, which
20 reduces the voltage from 345 back to 115-kV, will
21 introduce a sufficient amount of impedance into the
22 electrical circuit such that we will reduce to levels
23 which the equipment will operate correctly at the various
24 substations along the route in Southwest Connecticut.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. GOLDEN: Alright, thank you. Do you
2 know whether other electric companies in New England are
3 proposing underground 345 lines of comparable length to
4 that proposed in Phase II?

5 MR. ZAKLUKIEWICZ: I am aware of a
6 proposed 345-kV transmission line in Massachusetts, which
7 is southwest of the city of Boston, which goes into the
8 southeastern corner of Boston.

9 MR. GOLDEN: And do you know approximately
10 how long that cable will be?

11 MR. ZAKLUKIEWICZ: I have not read the
12 filing specifically, but I'm being told that is
13 somewhere in the proximity of 18 miles.

14 MR. JAMES J. MURPHY, JR.: Of what city --
15 (indiscernible) --

16 COURT REPORTER: A microphone please.

17 A VOICE: Boston --

18 MR. MURPHY: What city, Mr. Zak?

19 MR. ZAKLUKIEWICZ: This is --

20 MR. MURPHY: Southwest -- you said
21 southwest of the city. You didn't give us the city.

22 MR. ZAKLUKIEWICZ: Without going to the
23 map, I would be remiss in knowing exactly the town. We
24 can find that when we break and I can report back on

HEARING RE: CL&P and UI
APRIL 20, 2004

1 that.

2 MR. FITZGERALD: No, I think he just means
3 southwest of what city.

4 MR. ZAKLUKIEWICZ: Southwest of -- it's
5 southwest of Boston. And it terminates in the southeast
6 corner of Boston proper.

7 CHAIRMAN KATZ: And is that high pressure
8 fluid filled?

9 MR. ZAKLUKIEWICZ: To my understanding
10 their intent is to install high pressure fluid filled
11 cable.

12 MR. EMERICK: Madam Chairman.

13 CHAIRMAN KATZ: Mr. Emerick.

14 MR. EMERICK: Yeah. Mr. Zak, is that 18
15 miles of distance between points or 18 miles of cable, or
16 should it be 36 miles?

17 MR. ZAKLUKIEWICZ: My understanding is
18 there's actually going to be three sections of cable,
19 three parallel sections of cable. Two of them go from
20 call it Location A, which is southwest of Boston proper,
21 go directly northeast into Boston, and I believe there's
22 a substation in between where the 18 miles is broken.
23 And then the third circuit basically goes northwest of
24 Boston and terminates at another substation. And I

HEARING RE: CL&P and UI
APRIL 20, 2004

1 apologize for not having the names of the substations and
2 the exact routes, but we can get that for you.

3 MR. EMERICK: So given that configuration,
4 how many actual miles of cable do we have?

5 MR. ZAKLUKIEWICZ: Two of the circuits
6 will be a total of 18 miles, so it would be -- as I
7 understand it these are single -- single cables -- so it
8 would be 18 times 2 is 36, and -- which goes into
9 downtown Boston. And the third circuit, which goes from
10 this location on a common route towards Boston and then
11 veers northwest of Boston, I am not positive of the
12 length of that cable, but I would guess to be somewhere
13 around 10 miles.

14 MR. FITZGERALD: Mr. Emerick, it may be
15 that one of the other witnesses has some more detailed
16 knowledge about this --

17 A VOICE: Do you have any --

18 A VOICE: No. Mr. Zak has a good deal on
19 it.

20 MR. ZAKLUKIEWICZ: I can -- we can chase
21 that down as a homework assignment during the lunch break
22 or come back and report more specifically tomorrow and
23 possibly have a little map to show you. I realize that
24 the discussion here is not coming across clearly from the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 body language.

2 CHAIRMAN KATZ: We'd be willing to have an
3 update tomorrow morning.

4 MR. GOLDEN: And just for the record to
5 identify the electric company, would that be N-STAR that
6 has proposed this project?

7 MR. ZAKLUKIEWICZ: To my knowledge, that
8 is N-STAR, correct.

9 MR. GOLDEN: And do you know whether they
10 intend to use -- to bury the cable under state roads,
11 state highways?

12 MR. ZAKLUKIEWICZ: I do not have that
13 detail.

14 MR. EMERICK: Madam Chair.

15 CHAIRMAN KATZ: Mr. Emerick.

16 MR. EMERICK: Mr. Zak, what is -- N-STAR?
17 It's not a name that I'm familiar with --

18 MR. ZAKLUKIEWICZ: N-STAR is the parent
19 company of what used to be Boston Edison. And when they
20 purchased Commonwealth -- whatever -- they -- the
21 conglomerate name is North Star. It's basically the old
22 -- it's basically the old Boston Edison company, which
23 serves the greater metropolitan Boston area, and then
24 they -- they procured a couple of other smaller utilities

HEARING RE: CL&P and UI
APRIL 20, 2004

1 in Massachusetts.

2 MR. EMERICK: But it is a --

3 MR. ZAKLUKIEWICZ: It's an electric
4 utility wires company similar to Northeast Utilities.

5 MR. EMERICK: Thank you.

6 MR. GOLDEN: Does anyone on the panel know
7 whether N-STAR or its predecessor has experience with
8 HPFF 345 lines?

9 MR. ZAKLUKIEWICZ: Yes, I know that for a
10 fact.

11 COURT REPORTER: Excuse me. Was that
12 HBFF?

13 MR. ZAKLUKIEWICZ: HPFF, high pressure
14 fluid filled cable.

15 MR. COLIN C. TAIT: How do you spell N-
16 STAR?

17 MR. ZAKLUKIEWICZ: Capital N, S-T-A-R.

18 MR. TAIT: All one acronym?

19 MR. ZAKLUKIEWICZ: Yes.

20 MR. GOLDEN: And is anyone on the panel
21 aware of the experience that N-STAR has had with 345
22 cable in terms of failure rates and so on?

23 MR. WILLIAMS: As Boston Edison they
24 installed their first I believe in the mid to late

HEARING RE: CL&P and UI
APRIL 20, 2004

1 1980's, 345 HPFF cable. And they have had -- I don't
2 know of any failures that they have had after the line
3 was initially installed.

4 CHAIRMAN KATZ: Can the people in the back
5 of the room hear Mr. Williams? I guess so, there's no
6 complaints.

7 MR. TAIT: And Mr. Williams, how many
8 miles are you talking about?

9 MR. WILLIAMS: I don't know for sure. I
10 believe it's on the order of 40 -- a total --

11 MR. MURPHY: Can you get back to us on
12 that?

13 MR. WILLIAMS: Yes, we can -- we can check
14 that as well.

15 MR. GOLDEN: Alright, thank you. In
16 question Siting Council Response 6, I'm just seeking an
17 update here, that question asked you about a survey of
18 existing infrastructure. And I believe at the time the
19 company answered -- they indicated that they had
20 performed the infrastructure survey from East Devon to
21 the Fairfield/Westport line and had found no particular
22 problems. I just wondered whether that survey has been
23 completed from the Fairfield/Westport line to the Norwalk
24 Substation? And if you don't know, that's perhaps

HEARING RE: CL&P and UI
APRIL 20, 2004

1 something you can -- you can read in at a later date?

2 MR. JOHN PRETE: Yeah. John Prete -- John
3 Prete from the UI Company.

4 That's correct, the response does state
5 the company has gone out to all the utilities in the
6 towns between Milford and Norwalk, interrogated also the
7 utilities approaching and put on a form pipe plan as we
8 call it for kind of a conceptual design, and continued
9 that through Fairfield. We have since contacted the
10 towns west of Fairfield and have, essentially, completed
11 most of that -- what we would call data-mining associated
12 with that. And as of yet we have not found anything that
13 seemingly would prevent us from going along that route.

14 MR. GOLDEN: Alright, thank you. I have
15 some questions now about socialization and what we have
16 come to refer to as gold-plating. Mr. Zak, in your
17 supplemental testimony, I think it's April 8th, you
18 indicated that you expect that the -- all of the costs of
19 the preferred route with the cable technology will be
20 socialized. Can you explain and discuss why you have
21 that expectation?

22 MR. ZAKLUKIEWICZ: I think as in -- as
23 stated previously, when we looked at the cost of the
24 overhead transmission line on Segments 3 and 4, the cost

HEARING RE: CL&P and UI
APRIL 20, 2004

1 of under-grounding between East Devon to Singer, Singer
2 to Norwalk, is approximately the same as what it would
3 cost for the longer combination overhead and underground
4 transmission lines. Therefore, when Northeast Utilities
5 and UI put forth their arguments for cost recovery in the
6 12-C process and before the ISO New England or the RTO
7 New England, we will argue that the cost difference of
8 going overhead or underground is almost negligible -- as
9 a matter of fact for one of the alternatives presented,
10 the underground solution is a cheaper alternative -- such
11 that there is not a major difference as there typically
12 is between the cost of constructing overhead and the cost
13 of constructing underground, which typically has a
14 premium of three to five times. In this case because of
15 the cost of property, our concern over the taking of
16 properties and structures, this will -- the underground
17 alternative appears to be a prudent alternative for which
18 the cost should be socialized throughout New England.

19 MR. GOLDEN: And do you know whether -- we
20 had spoken earlier about the N-STAR application. Do you
21 know whether for the same reasons they too expect that
22 the cost of their project will be socialized?

23 MR. ZAKLUKIEWICZ: Not seeing their
24 application, but I would -- it would be my professional

HEARING RE: CL&P and UI
APRIL 20, 2004

1 opinion that naturally they would be looking to have
2 socialized the cost of that transmission line, which they
3 require to provide reliable service to the greater Boston
4 area socialized throughout all of New England as well.

5 MR. GOLDEN: Alright. I thank the panel
6 very much. That concludes my questions.

7 CHAIRMAN KATZ: Thank you, Mr. Golden.
8 Next on the list is Mr. MacLeod, ISO New England. Any
9 questions for these witnesses?

10 MR. ANTHONY MacLEOD: No, we have none.

11 CHAIRMAN KATZ: Mr. MacLeod said no. DOT,
12 Mr. Walsh, questions for these witnesses?

13 MR. CHARLES WALSH: Yes.

14 CHAIRMAN KATZ: Yes, can we have you come
15 up to that seat there.

16 MR. WALSH: Madam Chairman --

17 CHAIRMAN KATZ: Yes?

18 MR. WALSH: I have with me Miss Meskill --

19 CHAIRMAN KATZ: Yes --

20 MR. WALSH: -- who's going to be asking
21 questions as well.

22 CHAIRMAN KATZ: Yes.

23 COURT REPORTER: I can't hear --

24 CHAIRMAN KATZ: Mr. Walsh indicated that

HEARING RE: CL&P and UI
APRIL 20, 2004

1 the cross-examination will be by both himself and
2 Attorney Meskill --

3 MR. WALSH: Right --

4 CHAIRMAN KATZ: -- and so we'll get two
5 chairs up there if we could.

6 MR. WALSH: Thank you.

7 (Pause)

8 CHAIRMAN KATZ: At this point, I'd like to
9 just take a five-minute break so I can consult with Mr.
10 Marconi on where we are. So we're going to be adjourned
11 for five minutes.

12 (Whereupon, a short recess was taken.)

13 CHAIRMAN KATZ: Mr. Reif, we're going to
14 put you up here. Mr. Walsh and Miss Meskill --

15 MR. DAVID REIF: Great, thank you --

16 CHAIRMAN KATZ: -- have foregone their
17 chairs temporarily. We are going to take -- slightly out
18 of order here, we're going to allow PSEG to put on their
19 witness to -- for some brief -- Mr. Reif, do you want to
20 introduce your witness.

21 MR. REIF: Yes, Madam Chairman. Our
22 witness is Robert Parnell of PSEG Power Connecticut, LLC,
23 who is the designated witness, and his prefiled
24 testimony.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 CHAIRMAN KATZ: Thank you. Could you --

2 MR. ROBERT L. MARCONI: If you could
3 please rise and raise your right hand.

4 (Whereupon, Robert Parnell was duly sworn
5 in.)

6 MR. MARCONI: Please be seated.

7 CHAIRMAN KATZ: Thank you. Mr. --

8 COURT REPORTER: Have him put his name on
9 the record please and spell it.

10 CHAIRMAN KATZ: Could you spell your name
11 please.

12 MR. ROBERT PARNELL: Robert Parnell, P-a-
13 r-n-e-l-l.

14 CHAIRMAN KATZ: Thank you. And if you
15 could have your witness verify their prefiled testimony.

16 MR. REIF: Mr. Parnell, let me show you a
17 copy of what was prefiled as your testimony. Is that
18 your testimony in this matter?

19 MR. PARNELL: Yes, it is.

20 MR. REIF: And do you affirm that
21 testimony today and ask that that be adopted as your
22 testimony in this proceeding?

23 MR. PARNELL: Yes, I do.

24 CHAIRMAN KATZ: Is there any objection to

HEARING RE: CL&P and UI
APRIL 20, 2004

1 making his testimony a full exhibit? Hearing none, we
2 will take it as a full exhibit. And we will make him
3 available for cross-examination.

4 (Whereupon, PSEG Exhibit No. 1 was
5 received into evidence as a full exhibit.)

6 CHAIRMAN KATZ: Miss Randell, do you have
7 questions for Mr. Parnell?

8 MS. RANDELL: No questions based on the
9 prefiled testimony, thank you.

10 CHAIRMAN KATZ: Thank you. And I'm
11 calling on you representing both Applicants.

12 MS. RANDELL: Indeed.

13 CHAIRMAN KATZ: Thank you. Representative
14 Adinolfi, who is absent. The Towns of --

15 MR. BALL: No questions.

16 CHAIRMAN KATZ: Mr. Ball, no questions.
17 The City of Norwalk, I'll indicate absent. Mr.
18 Cederbaum?

19 MR. CEDERBAUM: No questions.

20 CHAIRMAN KATZ: Mr. Cederbaum says no
21 questions for this witness. The City of Meriden, absent.
22 Mr. Wertheimer, Assistant Attorney General?

23 MR. WERTHEIMER: Thank you, no questions.

24 CHAIRMAN KATZ: No questions Mr.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Wertheimer said --

2 MR. TAIT: You demoted him.

3 CHAIRMAN KATZ: I demoted him --

4 (laughter). The Communities for Responsible Energy,
5 absent. Mr. Johnson, any questions for this witness?

6 MR. JOHNSON: None, Your Honor.

7 CHAIRMAN KATZ: Mr. Johnson said no
8 questions. Mr. Golden, any questions for this witness?

9 MR. GOLDEN: No questions.

10 CHAIRMAN KATZ: Mr. Golden said no
11 questions. Mr. MacLeod, any questions for --

12 MR. MacLEOD: No questions.

13 CHAIRMAN KATZ: Mr. MacLeod said no
14 questions. Mr. Walsh, any questions for --

15 MR. WALSH: No questions.

16 CHAIRMAN KATZ: Mr. Walsh said no
17 questions. Mr. Lord, I assume no questions?

18 MR. ANDREW LORD: Correct.

19 CHAIRMAN KATZ: And the Town of Cheshire,
20 I assume no questions. The City of Middletown, I will
21 assume no questions. The Town of North Haven, I will
22 assume no questions. Mr. Cunliffe?

23 MR. FRED O. CUNLIFFE: Yes, Madam Chair, I
24 have a couple.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 CHAIRMAN KATZ: Please.

2 MR. CUNLIFFE: In your prefiled testimony,
3 the second to the last question you answered that you
4 agreed to sell a portion of Site 8 to the Applicants.
5 Could you describe what portion that would be?

6 MR. PARNELL: A portion that would fit the
7 substation as designed, either the westernmost
8 north/south section or the northernmost east/west
9 section.

10 MR. CUNLIFFE: So as the Applicant has
11 identified in their Volume 6 of the application, Appendix
12 D, there's a table of substation sites, and it identifies
13 2.825 acres, would it be less than that?

14 MR. PARNELL: Yes. I believe it's -- I'd
15 defer to Mr. Prete, but I think it's around 1.6 acres
16 total.

17 MR. CUNLIFFE: Thank you.

18 MR. PRETE: Actually, for clarification,
19 it's about 1.5 acres.

20 MR. CUNLIFFE: Those are my questions,
21 thank you.

22 CHAIRMAN KATZ: Thank you. Council
23 members, questions for Mr. Parnell, PSEG? (No audible
24 response). As -- so as far as you know, Mr. Parnell,

HEARING RE: CL&P and UI
APRIL 20, 2004

1 your company, the Applicant and the City are all on the
2 same page for this substation?

3 MR. PARNELL: Correct.

4 CHAIRMAN KATZ: Thank you. Any other
5 Council members have questions of this witness?

6 MR. TAIT: You've discussed this with the
7 City?

8 MR. PARNELL: Yes.

9 MR. TAIT: Okay.

10 MR. PRETE: Mr. Tait, if I could
11 elaborate? We had a meeting with the City, the Director
12 of Planning and Information in the Mayor's Office. They
13 did indeed submit a letter agreeing to this in spades.
14 If you'd like a copy, I'd be happy to get that to you.

15 MR. TAIT: I think that would be good just
16 to button that one up.

17 CHAIRMAN KATZ: Right.

18 MR. PRETE: We'll have that for you after
19 the break --

20 MR. TAIT: The Chairman wants to make sure
21 that we have no questions on this. Hopefully when the
22 next substation comes up, Norwalk will be here or
23 somebody can speak for the Town of Norwalk.

24 CHAIRMAN KATZ: I'm hoping Norwalk will be

HEARING RE: CL&P and UI
APRIL 20, 2004

1 here to speak to the river crossing too, but we'll wait
2 and see. Any other questions for this witness? Seeing
3 none, thank you, Mr. Reif --

4 MR. REIF: Thank you, Madam Chairman --

5 CHAIRMAN KATZ: Yes, Mr. Prete?

6 MR. PRETE: Madam Chair, if I could just
7 indulge a second? I'd like to commend PSE&G for stepping
8 forward here. I can assure you since UI has owned those
9 sites in the past, that giving up property is not in the
10 business interests personally to that company. They
11 have, quite frankly, stopped a rather hairy and lengthy
12 condemnation process that would put in place I think
13 jeopardy of that December 7th -- or December 20, '07 date.
14 So again outside their business plans, they've done some
15 great things for the ratepayers of Connecticut.

16 CHAIRMAN KATZ: Thank you. We'll note
17 that.

18 MR. TAIT: I believe that's on the record,
19 sir.

20 MR. PRETE: Thank you.

21 CHAIRMAN KATZ: Thank you, Mr. Reif. Mr.
22 Parnell, you're excused.

23 MR. REIF: Thank you, Madam Chairman.

24 MR. PARNELL: Thank you.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 CHAIRMAN KATZ: And we'll ask Mr. Walsh
2 and Miss Meskill to come back for cross-examination of
3 the Applicant. Just to give you coming attractions,
4 we're going to proceed to noon today where we'll take our
5 lunch break. After lunch, Mr. Tait will be chairing for
6 the rest of the afternoon. And then tomorrow morning we
7 will resume on the subject at 10:00 a.m.

8 Okay, for the record if you want to
9 identify yourselves please.

10 MR. WALSH: Good morning, Madam Chairman.
11 My name is Charles Walsh, Assistant Attorney General,
12 representing the Connecticut Department of
13 Transportation.

14 MS. EILEEN MESKILL: Assistant Attorney
15 General Eileen Meskill, also representing the Department
16 of Transportation.

17 CHAIRMAN KATZ: And while we're passing
18 out kudos, I just want to thank DOT for becoming actively
19 involved in this docket. We appreciate your
20 participation.

21 MR. WALSH: I'd like to start off to ask
22 the Applicants to elaborate upon the purpose of this
23 project with respect to the benefits that they believe
24 will flow from this project for the citizens of

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Connecticut as well as Northeast -- or New England. If
2 you could, sir, I believe earlier you said that these
3 costs will be socialized throughout New England. Mr.
4 Zak, do you believe that this project will, in fact, be
5 beneficial for all the ratepayers in New England?

6 MR. ZAKLUKIEWICZ: Yes, I do.

7 MR. WALSH: Do you believe that there will
8 be any specific benefits that the Connecticut Department
9 of Transportation will receive as a result of this
10 project?

11 MR. ZAKLUKIEWICZ: Besides keeping the
12 lights on in the highway system? (Laughter).

13 MR. WALSH: That's -- that's always a good
14 purpose, thank you. But other than that, you can't think
15 of anything else, is that correct, sir?

16 MR. ZAKLUKIEWICZ: Well, I think we've
17 elaborated in the application this is a project that has
18 required now -- this is a project that from a reliability
19 standpoint is in desperate need of being constructed
20 besides the reliability benefits to the State of
21 Connecticut and to the residents and to the commercial
22 and industrial segments of the State for which the
23 economy is a big issue. The project brings those
24 reliability benefits.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 And secondly, we have all seen in our
2 bills -- last year the congestion cost, which in the year
3 2003 I think equated to somewheres around 170 million
4 dollars, a portion of that is as a result of having
5 inadequate transmission availability in the State of
6 Connecticut. And as locational installed capacity
7 charges become fully implemented in the next four to five
8 years, the cost to Connecticut ratepayers, residential,
9 commercial and industrial will be enormous unless this
10 project or other projects are constructed.

11 Clearly, it's -- it's a need of being
12 built today. And secondly, as we all know, the
13 socialization cost will be extremely difficult if the
14 project is not completed prior to December 20th of the
15 year 2007.

16 MR. WALSH: Do you believe that the
17 Connecticut Department of Transportation should bear some
18 of the costs of this project?

19 MR. ZAKLUKIEWICZ: I -- I -- the answer to
20 that would be no more so than any other ratepayer within
21 the State of Connecticut.

22 MR. WALSH: So the burden upon the DOT
23 would be reflected in their electric bill, is that
24 correct?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 CHAIRMAN KATZ: Mr. Walsh, pull your mic a
2 little closer.

3 MR. WALSH: Yeah. I'm sorry.

4 MR. ZAKLUKIEWICZ: I'm not certain I
5 understand that question.

6 MR. WALSH: I'm saying that outside of the
7 costs that the DOT would receive in their electric bill
8 each month, that there would be no other cost that the
9 DOT should bear with respect to this project, is that
10 correct?

11 MR. ZAKLUKIEWICZ: If -- if you're
12 referring to having the public utilities be in the
13 roadways of the State of Connecticut and if you're saying
14 that the future DOT costs -- DOT is the Connecticut
15 Department of Transportation -- costs could be higher as
16 a result of the transmission lines being in the state
17 highway system, those -- those are I believe a right
18 which we currently have to be in the state highway
19 system, and those costs are incurred by the state highway
20 system by local sewer lines, by local gas pipelines, by
21 local water lines and so forth. So if you're trying to
22 separate out the electric utility, I would have to say we
23 are -- we see ourselves no differently than any of the
24 other benefits of the local towns along any highway

HEARING RE: CL&P and UI
APRIL 20, 2004

1 system.

2 MR. WALSH: Are you aware of any other
3 project of this magnitude that would have such an impact
4 on the transportation system in the State of Connecticut
5 by any other utility?

6 MR. ZAKLUKIEWICZ: Not to this date,
7 because prior to this time we have always constructed
8 overhead transmission lines as opposed to having to
9 construct transmission lines underground.

10 MR. WALSH: So it is your belief that some
11 of this cost will be borne by the DOT based upon your
12 belief that there is a right to occupy the right-of-ways
13 -- the highway right-of-way, is that correct?

14 MR. ZAKLUKIEWICZ: You've made the
15 assumption that there's an increased cost. I have not
16 been shown any data that clearly defines that there will
17 be an increased cost in operating the Department of
18 Transportation's infrastructure as a result of
19 underground transmission lines in state highways.

20 MR. WALSH: By the use of the state
21 highway right-of-way, the Applicants are avoiding the
22 additional acquisition cost for additional right-of-way
23 in either Alternative A and B?

24 MR. ZAKLUKIEWICZ: That is correct.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. WALSH: With respect to the
2 acquisitions that are listed in either Alternative A and
3 B, the costs that you spoke of earlier, I believe in
4 response to the interrogatories, the costs in there were
5 costs for easements, those were not for acquisition of
6 the property and fee, is that correct?

7 MR. ZAKLUKIEWICZ: Those were costs for
8 easements and cost for procurement of personal -- of
9 personal properties and structures along that right-of-
10 way should we have to take the property and the home is
11 beneath the expanded transmission right-of-way. It would
12 be -- it would be a combined cost of both the easement
13 and the cost of procuring personal structures and tearing
14 those structures down.

15 MR. WALSH: Did the Applicants look at the
16 possibility of installing an underground transmission
17 line in a right-of-way acquired by the Applicants?

18 MR. ZAKLUKIEWICZ: Yes, we have.

19 MR. WALSH: And what was the result of
20 your research in that area?

21 MR. ZAKLUKIEWICZ: The existing rights-of-
22 way along the route that we're proposing to install
23 underground, I can -- at a high level, I will -- I will
24 give you a high level answer and then I will turn to John

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Prete and Anne Bartosewicz who can expand on that, but
2 there are significant wetlands along that transmission
3 right-of-way, there are also extensive rock outcroppings,
4 and the terrain along the transmission right-of-way is
5 not conducive to installing high pressure fluid filled
6 pipe type cable. John.

7 MR. PRETE: Do you want some more detail
8 than that?

9 MR. WALSH: If you'd like to elaborate on
10 that, that would be fine?

11 MR. PRETE: No, I think he did a great
12 job. (Laughter).

13 MR. WALSH: Thank you --

14 MR. PHILIP T. ASHTON: I have a question,
15 Mr. Zak -- if I can share a mic -- come on, Colin -- you
16 say that wetlands and so forth are not conducive -- and
17 rock are not conducive to the installation of high
18 pressure fluid filled cables. Isn't it true that many
19 facilities go through wetlands on a routine basis? Why
20 is it so uniquely deleterious in the case of the
21 transmission line we're talking about here?

22 MR. ZAKLUKIEWICZ: Well in an overhead
23 transmission line you can have wetlands in a transmission
24 right-of-way and we will -- in the engineering design

HEARING RE: CL&P and UI
APRIL 20, 2004

1 process we will locate the structures, these are for the
2 overhead structures which hold the wires up in the air,
3 in locations where there are no wetlands or the impact on
4 the wetlands will be minimal. Outcroppings, the wires
5 basically go over the top of those rock outcroppings.

6 In the case of underground transmission
7 down a right-of-way, you have to have a continuous trench
8 open approximately three to five foot deep. You have to
9 place the trench through -- or in some areas there's no
10 way of avoiding a wetland, so the trench actually goes
11 through the wetlands, you have no alternative but to go
12 through the rock and the outcroppings. The environmental
13 impacts on the environment are just extreme relative to
14 what those impacts would be for an overhead transmission
15 line.

16 In addition, there has to be a continuous
17 roadway such that you can access every foot of that
18 underground transmission lines, as opposed to an overhead
19 transmission line you only have to access where you have
20 the transmission structures. And depending on the
21 terrain and all, some of those spans can be up to twelve,
22 thirteen-hundred foot, typically they're at the seven to
23 eight-hundred foot location. So you have a significant
24 difference on the impact of where an underground

HEARING RE: CL&P and UI
APRIL 20, 2004

1 transmission line would be relative to the requirements
2 for an underground transmission line on that right-of-
3 way.

4 MR. ASHTON: Well, conceding that there
5 are some differences, would you characterize the
6 environmental impact of a natural gas transmission line
7 as being severe, which there are I think fifteen hundred
8 miles or something like that of transmission lines in the
9 State of Connecticut, and would they be materially
10 different?

11 MS. MANGO: I know Mr. Ashton has lots of
12 experience with gas transmission lines, and my background
13 is also in that, so I think the first thing that you have
14 to take into consideration is in terms of the use of an
15 existing overhead right-of-way for an underground
16 pipeline or cable, if one were to locate a gas
17 transmission line, something that we're always asked to
18 look at, can you co-locate with an overhead transmission
19 line or an existing right-of-way. And one of the
20 problems with an overhead transmission line is that in
21 fact they're designed to span areas that an underground
22 cable or an underground pipeline must traverse. And if
23 we were to site a gas pipeline for example or even an
24 underground cable along an overhead right-of-way in this

HEARING RE: CL&P and UI
APRIL 20, 2004

1 particular segments, 3 and 4, the existing overhead
2 right-of-way would not be our preferred location simply
3 for the fact that it does have spans, it spans areas of
4 existing development, for example along Main Street in
5 Bridgeport, it spans rock outcrops, it goes -- the towers
6 would be located on top of existing rock abutments that
7 the pipeline or a cable would have to blast through. If
8 we had to pick a greenfields location for a cable, it
9 would be on a much more gently sloping route, something
10 that would be easier to dig for example.

11 And in terms of your basic question, can
12 gas pipelines be operated and constructed in an
13 environmentally sound manner, you know, obviously, yes,
14 they can, and they have been for years. But avoidance of
15 wetland impacts, avoidance of rock outcrops, minimization
16 of blasting, minimization of impacts to groundwater
17 through terrain, those are all considerations that are
18 taken into account during the routing process.

19 MR. ASHTON: (Indiscernible) -- back to
20 Mrs. Mango, I am aware -- well aware that she has a
21 highly credible background in gas facilities also. But
22 Mrs. Mango, wouldn't you agree that in certain instances
23 directional drilling could avoid the impact of going
24 through a rock ridge for example, that you directionally

HEARING RE: CL&P and UI
APRIL 20, 2004

1 drill through that rock ridge and minimize impact?

2 MS. MANGO: That could certainly be the
3 case. And that was done in the case of the -- I believe
4 it was the Yankee Gas Meriden Pipeline. They drilled
5 through a rock ridge. And that was one rock ridge. And
6 in fact, that was a relatively short pipeline. And they
7 --

8 MR. ASHTON: But my -- my --

9 MS. MANGO: -- they did co-locate. So
10 yes, there are techniques for minimizing impacts. I
11 think when you look at the right-of-way that we have on
12 Segments 3 and 4, we have something like 85 wetlands.
13 They're generally small. We have a number of stream
14 crossings. You could do directional drills in those
15 locations or in any one of those locations, but then it's
16 going to increase your costs.

17 MR. ASHTON: Well, I understand that
18 there's a cost factor to it, which may be -- may or not
19 be -- may or may not be positive -- but wouldn't you also
20 agree that pipeline structures, be they gas or electric,
21 what have you, or underground facilities, or water, what
22 have you, have gone through wetlands, and wetlands have
23 been restored so that the impact is not necessarily
24 permanent?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MS. MANGO: I would absolutely agree with
2 that.

3 MR. ASHTON: Okay.

4 MR. ZAKLUKIEWICZ: I think one other
5 feature, which we need to talk about, is the fact that on
6 a transmission line underground, approximately every
7 eighteen hundred feet you need to install a large vault -
8 -

9 MR. ASHTON: Um-hmm --

10 MR. ZAKLUKIEWICZ: -- for the splicing.
11 This does not -- this does not occur in a pipeline or a
12 gas pipeline. So when you think about it, you need to
13 bring in heavy equipment to haul that 8-foot by 8-foot by
14 30-foot vault, place it in place, have the equipment near
15 then to also do the splicing later on, and access to it.

16 And what has been another requirement --
17 gas basically -- and I may be wrong on this -- altitude
18 changes do not affect gas as long as there's sufficient
19 pressure with the compressors. In the case of a gas
20 pipeline -- I mean in the case of electric pipelines,
21 elevation differences severely impact the reliability of
22 an underground transmission line, whether it be HPFF or
23 whether it be a cross-link polyethylene. So the fact
24 that I may be able to construct this, if my elevation

HEARING RE: CL&P and UI
APRIL 20, 2004

1 changes are such that the reliability of the underground
2 transmission line is compromised, then that is an
3 unacceptable position to be in and would not be one in
4 which the utilities would endorse.

5 MR. ASHTON: And that gets back to what I
6 think I recall the discussion of thermal mechanical
7 bending in Docket 217, is that right?

8 MR. ZAKLUKIEWICZ: That is correct.

9 CHAIRMAN KATZ: Back to you, Mr. Walsh.

10 MR. WALSH: Thank you. To follow up on
11 Mr. Ashton's questions, could you please describe the
12 difference between the XLPE and the HPPF cables?

13 MR. FITZGERALD: Excuse me. You're just
14 asking for a physical description --

15 MR. WALSH: Well, I'd like a description
16 of --

17 MR. FITZGERALD: -- or performance --

18 MR. WALSH: An overall description of the
19 physical differences as well as the performance, as well
20 --

21 CHAIRMAN KATZ: We're going to ask you to
22 briefly summarize --

23 MR. WALSH: If you could --

24 CHAIRMAN KATZ: -- since a more detailed

HEARING RE: CL&P and UI
APRIL 20, 2004

1 thing has been prefiled --

2 MR. WALSH: I apologize that I -- that I
3 have not participated in 217.

4 CHAIRMAN KATZ: Right. But -- but it is --
5 - it is included in the filing, so I'm just going to ask
6 you to briefly summarize.

7 MR. ZAKLUKIEWICZ: A very high level and
8 I'll turn it over to Jay Williams. A high pressure fluid
9 filled cable is a paper insulated cable. It requires an
10 insulated fluid under pressure, approximately 200 psi, to
11 operate correctly.

12 Cross-link polyethylene is a -- is a cable
13 which is surrounded by a -- call it a plastic for the
14 insulating material. It would be installed in a duct
15 bank -- concrete encased duct bank as opposed to the high
16 pressure fluid filled cable, which would be installed in
17 8-inch -- our proposal is to install that cable in 8-inch
18 pipes under pressure.

19 MR. WALSH: Could you describe for me
20 what's the length of the cable on a spool of XLPE versus
21 HPPF cable, as well as the diameter of that spool?

22 MR. ZAKLUKIEWICZ: Certainly. Jay
23 Williams. (Laughter).

24 MR. WILLIAMS: That was a good summary.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 To answer your question for the HPPF cable, the distance
2 between the splice locations depends upon the terrain,
3 whether you have ups and downs and bends and so forth,
4 and it ranges perhaps from fifteen hundred feet to three
5 thousand feet, the shorter length being if you have a lot
6 of dips and bends, the longer length if you're fairly
7 straight. The reel for that cable is -- the total reel
8 diameter is a little bit less than 12 feet.

9 For the cross-link polyethylene, the
10 distance that you can pull the cable is lower because the
11 cable itself is a larger diameter. And the distance that
12 you would have between splices would probably be a
13 maximum of about 2,000 feet, and ranging between fourteen
14 hundred and 2,000 feet. The reel size would be about the
15 same as that of the pipe type cable because the reel size
16 is governed by shipping limitations as opposed to how
17 much cable you can get on the reel.

18 MR. WALSH: And I believe I heard
19 testimony to the effect that the XLPE was installed in a
20 duct bank. Can you just briefly tell me what the size of
21 the duct bank is for the XLPE?

22 MR. WILLIAMS: If I can refer to the
23 sections here -- I can give you the conceptual size that
24 we had determined when we listed the different cable

HEARING RE: CL&P and UI
APRIL 20, 2004

1 types --

2 MR. WALSH: Can you please refer to what
3 document you're looking at, sir?

4 MR. WILLIAMS: I'm sorry --

5 MR. ZAKLUKIEWICZ: Volume 6 of the filing.

6 MR. WALSH: Thank you.

7 MR. WILLIAMS: Volume 6, the third
8 section, which is on underground, on page 6, we show
9 dimensions of the cross-link polyethylene of
10 approximately a 40-inch trench width and a concrete
11 envelop surrounding these plastic ducts of a height of
12 about 23 inches.

13 MR. WALSH: So it would be approximately
14 40 inches wide, 23 inches high?

15 MR. WILLIAMS: Yes. That's the concrete
16 envelop that surrounds the ducts that the cables are in.

17 MR. WALSH: And could you please describe
18 the installation for the HPFF, the size of that structure
19 in the right-of-way?

20 MR. WILLIAMS: The same -- the same page,
21 page 6 of that document shows a 48-inch wide trench with
22 a 28-inch high depth of the control backfill which is
23 around the cable pipes.

24 MR. WALSH: Twenty-eight inch high?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. WILLIAMS: Twenty-eight inches --

2 MR. WALSH: I thought I heard somebody
3 testify earlier it would be 4-feet by 5-feet. Did I --

4 MR. WILLIAMS: Well, I'm giving you -- the
5 dimension I'm giving you is that of the envelop that
6 surrounds the cable --

7 MR. WALSH: Okay --

8 MR. WILLIAMS: -- the duct package itself.
9 And then the depth below the street surface depends upon
10 -- you want it as generally shallow as possible -- but
11 the depth below the street surface depends upon other
12 utilities and other considerations. Both dimensions I
13 gave you are strictly the duct package.

14 MR. WALSH: Thank you. Could you explain
15 to me the importance of the depth of the burial of the
16 facility? Is there some significance to the depth of the
17 burial with respect to the operation of the cable?

18 MR. FITZGERALD: Excuse me. Are you
19 talking both types now, one type --

20 MR. WALSH: Either or. We can start with
21 the HPFF.

22 MR. WILLIAMS: The cables -- in contrast
23 many of the other buried utilities generate heat. And
24 the amount of heat that the cables generate is a function

HEARING RE: CL&P and UI
APRIL 20, 2004

1 of the loading on them. The dissipation of that heat is
2 what determines how much power you can carry through the
3 cables. And generally the heat that is generated by the
4 cables needs to flow to the surface of the earth. So in
5 general, the deeper the cables are buried, if they have a
6 4-foot cover instead of a 2-foot cover, the lower the
7 power transfer that is possible on the cables. That's
8 the primary concern in terms of operating the cables.

9 MR. WALSH: What is the significance of
10 the fluid that is contained within the high pressure
11 pipe?

12 MR. WILLIAMS: The fluid's primary purpose
13 is to provide electrical strength to the wrapped layers
14 of paper type insulation that make up the high voltage
15 insulation between the conductor and its grounded shield.

16 MR. WALSH: The fluid -- does the fluid
17 provide any benefit to heat dissipation with respect to
18 the heat generated by the high pressure fluid filled
19 transmission line?

20 MR. WILLIAMS: In a static system, that is
21 a system where the fluid is pressurized to 200 psi to
22 maintain the electrical strength, the presence of the
23 fluid gives a modest increase to the heat transfer versus
24 say nitrogen, which could be used for lower voltages

HEARING RE: CL&P and UI
APRIL 20, 2004

1 because liquid transfers heat better, so it gives a
2 several percent increase in the heat transfer versus say
3 the air in the cross-link polyethylene cable.

4 MR. WALSH: With respect to the high
5 pressure fluid filled cable, would it be possible to cool
6 the fluid along the route such that it would provide for
7 better heat dissipation along the way?

8 MR. WILLIAMS: Cooling the fluid was done
9 by several utilities back in the early 70's as a way to
10 get additional power transfer out of the cable system.
11 That is not routinely used because it's energy
12 inefficient and very high maintenance and a lower
13 liability system.

14 CHAIRMAN KATZ: Mr. Williams --

15 MR. WILLIAMS: Yes?

16 CHAIRMAN KATZ: -- does the heat from the
17 cable have an impact over the road surface above it?

18 MR. WILLIAMS: The -- there is a very
19 minor temperature increase above the road -- on the road
20 surface above the cables just like there is with buried
21 distribution of perhaps one or two or three centigrade
22 degrees, yes.

23 CHAIRMAN KATZ: One or two?

24 MR. WILLIAMS: Degrees centigrade.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 CHAIRMAN KATZ: Centigrade --

2 MR. WILLIAMS: Yes.

3 CHAIRMAN KATZ: Thank you.

4 MR. BRIAN O'NEILL: Doesn't that have --
5 doesn't that have a direct correlation to how deep it's
6 place?

7 MR. WILLIAMS: Yes. Yes, if the cable
8 were buried deeper, as I indicated, it's harder for that
9 heat to reach the surface, therefore this one or two or
10 three degree centigrade I mentioned might be half of that
11 value depending upon the burial depth, that's correct.

12 MR. O'NEILL: Thank you.

13 MR. WALSH: But -- but that could not be
14 dissipated by having additional cooling along the length
15 of the line, is that correct?

16 MR. WILLIAMS: As I said, it can be done.
17 And it was done in the early 70's until the industry
18 determined that it was not an efficient way to design or
19 operate the cables.

20 MR. WALSH: And when you say efficient,
21 meaning financially or from a power standpoint?

22 MR. WILLIAMS: An energy standpoint --
23 well, which also translates to financial for the energy
24 cost for running the equipment and the capital costs for

HEARING RE: CL&P and UI
APRIL 20, 2004

1 the equipment itself. But the cable system naturally
2 cooled, which is how the vast majority of them are
3 installed, is fairly energy efficient. When you add the
4 cooling equipment, you add an awful lot more mechanical
5 equipment that requires energy to operate.

6 MR. WALSH: Could you please describe for
7 me the installation process -- I'm sorry, was there --

8 CHAIRMAN KATZ: Yes? Oh -- Mr. Emerick.

9 MR. EMERICK: Just a question before we
10 move off the temperature increases on the pavement
11 surface. If we're raising the pavement surface one to
12 three degrees centigrade over the pipe, what's -- what's
13 the width of that increase?

14 MR. WILLIAMS: That -- that's a good
15 question. The response I gave was immediately over the
16 centerline of the pipes. That dissipates going out from
17 that area very rapidly. I don't have figures or a graph,
18 but I would think at the edge of the trench if it were --
19 this is maximum loading incidentally, which cables do not
20 always operate at, cables generally operate lower than
21 maximum loading -- so at maximum loading you might have a
22 three centigrade degree increase over the centerline of
23 the trench. When you get to the edge of the trench, it
24 may be half of that. When you're a few feet farther

HEARING RE: CL&P and UI
APRIL 20, 2004

1 away, it's probably immeasurable.

2 MR. TAIT: And the trench is four feet?

3 MR. WILLIAMS: Yes.

4 MR. TAIT: And how far down would you have
5 no heat at all?

6 MR. WILLIAMS: Well, absolutely zero heat
7 would be, you know, very, very, very deep --

8 MR. TAIT: Okay. As a practical matter,
9 getting it down below one --

10 MR. WILLIAMS: Getting down below one,
11 again it would depend upon the power that the cable
12 system is carrying and the characteristics of the soil
13 and so forth, but several feet deeper I would imagine
14 would get you down below one.

15 CHAIRMAN KATZ: Do some transportation
16 operators, municipalities, states, like the fact that the
17 pavement is warmer and therefore perhaps more melting or
18 --

19 MR. TAIT: Plowable.

20 MR. WILLIAMS: I've never heard anyone
21 express a like or dislike of it. It's just a fact of
22 what happens. Let me also point out that the surface of
23 the streets heats up by a greater temperature increase
24 just because of the sun coming out. So this one to three

HEARING RE: CL&P and UI
APRIL 20, 2004

1 degrees often is swamped if it's a sunny day.

2 CHAIRMAN KATZ: Okay, thank you --

3 MR. EMERICK: Just to follow up --

4 CHAIRMAN KATZ: Yes.

5 MR. EMERICK: -- on I guess the
6 temperature increase, I guess I'm thinking of my driveway
7 and what happens in the wintertime, and you know, if you
8 have shade and sun, you have obviously a point at which
9 you'll get thawing and another point where you'll get
10 freezing, and if that is mirrored onto a roadway, is
11 there any kind of an operational situation where right
12 over the roadway we have melting but we get a few feet
13 off of that centerline and just enough of a temperature
14 change that you get freezing, so that it represents an
15 operational difficulty or constraint?

16 MR. WILLIAMS: I've never heard of that
17 happening or that concern. It's just as you indicated on
18 your driveway, if you shovel just a very thin patch and
19 you're down to -- that section heats up a little bit more
20 and it eventually works its way outward. So it's a common
21 phenomenon and I don't think it's unique to cable
22 systems. And as far as I know, it's never been a concern
23 in terms of freezing and thawing on the surface.

24 MR. ZAKLUKIEWICZ: In our industry, Mr.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Emerick, we have never heard of any concerns with a one
2 or two degree temperature difference where the cables are
3 heavily loaded and that impacted on thawing and creating
4 a hazardous condition on the roadways.

5 MR. EMERICK: Thank you.

6 MR. ASHTON: Is there any impact on
7 thermal transfer -- efficiency of heat transfer from the
8 cable to the surrounding environment as the depth varies?

9 In other words is there a risk of drying out the medium
10 which impedes heat transfer or does that vary by depth,
11 or what information can you -- what light can you shed on
12 that as to how that affects the depth of burial?

13 MR. WILLIAMS: For any of the trench
14 configurations we would put in a material called a
15 fluidized thermal backfill, which is very stable
16 thermally, and it is designed that regardless of the
17 loading on the cables, that is we design it for the
18 cables having their maximum loading, which seldom occurs,
19 that that material will not dry out. At the edge of that
20 material, which will be at the edge of the envelop I've
21 been speaking about around the cables, the temperature
22 gradient is low enough that the chances of drying out any
23 reasonable soil are extremely small. And that would be
24 regardless whether your shallow or deep.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. ASHTON: So the depth does not affect
2 the heat transfer capability, is that fair to say?

3 MR. WILLIAMS: The depth does not affect
4 the heat transfer capability of the envelop within the
5 trench. But if that envelop is buried deeper, then the
6 heat has to travel farther to reach the surface of the
7 earth and the cables will be de-rated.

8 MR. ZAKLUKIEWICZ: I think, Mr. Ashton,
9 it's fair to say the deeper we go, the wider the trench,
10 the more thermal backfill we need to place in that trench
11 around the cable system, whether we're talking HPPF or
12 cross-link polyethylene, to dissipate the heat generated
13 within the cable, otherwise we seriously de-rate the
14 cable capability both in terms of its normal carrying
15 capability and its emergency carrying capability should
16 there be contingencies on the system where you would now
17 ask that transmission path to carry more power than
18 normal.

19 MR. ASHTON: Okay, you've anticipated my
20 subsequent question. Thank you.

21 COURT REPORTER: One moment please.

22 (Pause). Thank you.

23 MR. ZAKLUKIEWICZ: So to answer Mr.
24 Walsh's question, if we need to go further than

HEARING RE: CL&P and UI
APRIL 20, 2004

1 approximately from the top of the duct bank or the top of
2 the pipes, approximately three, four below grade, the
3 trench opening then from what is depicted on page 6 of
4 the PDC filing in Volume 6 increases, and that 48-inch
5 opening for HPFF cable is making the assumption that
6 there will be somewheres between 20 and 60 inches from
7 the top of the installation to the grade.

8 CHAIRMAN KATZ: Mr. Emerick, you have a
9 question?

10 MR. EMERICK: Yeah. Just a question on
11 the thermal backfill -- and I gather we don't want this
12 thermal backfill to dry out. Recognizing that it's
13 underneath an impervious surface, obviously groundwater
14 movement is altered in this area, stormwater is moved
15 off, but yet we're adding heat continuously. I'm curious
16 as to how this material doesn't dry out? And are we just
17 talking about some kind of specialized sand?

18 MR. WILLIAMS: The material that would
19 probably be used and is most often used for surrounding
20 the cable system is -- the fluidized thermal backfill is
21 a specially formulated material, it is like a weak mixed
22 concrete --

23 MR. ZAKLUKIEWICZ: Concrete --

24 MR. WILLIAMS: -- with a range of

HEARING RE: CL&P and UI
APRIL 20, 2004

1 aggregate sizes in the concrete to improve its heat
2 transfer. So it is very low strength, perhaps 100 psi
3 concrete material versus the 3,000 psi that you might
4 have in structures.

5 The moisture is chemically bound in the
6 concrete. And the situation you explained is actually
7 incredibly complex because the street surface actually
8 retards the evaporation of moisture and there's -- even
9 in urban areas there's a lot of moisture in the ground,
10 so that the moisture level underneath the street level
11 could actually be higher than if you're under a grass
12 level. So the -- it's not necessarily true that the
13 presence of the street would retard moisture and give a
14 problem for the cables. It may be the other way around.

15 MR. EMERICK: Okay, thank you.

16 CHAIRMAN KATZ: Mr. Walsh.

17 MR. WALSH: Thank you. The Council has
18 anticipated a number of my questions. If I may, I'd just
19 like to ask Miss Mango a follow-up to that. Is it your
20 experience that a surface such as a street would in fact
21 retard evaporation more so or would that have a tendency
22 to dry out the soil below it as opposed to a vegetated
23 surface area?

24 MS. MANGO: Well, you know, it would

HEARING RE: CL&P and UI
APRIL 20, 2004

1 depend on the soil. And I really have no experience
2 whatsoever in that. It would depend on the type of soil,
3 the underlying soil material I would think.

4 MR. WALSH: And you have no experience
5 with soils?

6 MS. MANGO: Not with soil underneath
7 layers of asphalt and how dry it might be.

8 MR. WALSH: Alright, thank you. I'd like
9 to go back to the installation process, if I may, with
10 respect to the high pressure fluid filled transmission
11 line. What would be entailed to install this facility
12 within a highway right-of-way?

13 MR. WILLIAMS: We actually have in --

14 MR. PRETE: It would be volume -- while
15 Jay is looking through that, if you could turn to Volume
16 1, page J-11, it goes into a great deal of detail -- with
17 a graphic no less -- it walks through the installation of
18 that pipe type cable system.

19 CHAIRMAN KATZ: Mr. Walsh, does your
20 question have anything to do with a state highway or a
21 residential street, or --

22 MR. WALSH: Well with regard to any
23 highway, whether it's a state highway or a municipal
24 street. I'm interested in ascertaining (1) the time the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 trench is going to be left open -- from the time of
2 opening to the time that the trench is filled, as well as
3 the amount of space that's going to be required in the
4 right-of-way with regard to the open trench, as well as
5 the ancillary equipment that's going to be needed and the
6 space that equipment is going to be taking up within the
7 right-of-way to install that facility.

8 MR. PRETE: I'd like to take a stab, if
9 you don't mind, at that picture, if you could turn to
10 that graphic. The installation of the pipe type cable
11 system that we're referring to in the application,
12 although be it 345-kV, is no different than pipe type
13 cable systems that have been put in various roadways over
14 the last 10 years. And specifically from experience,
15 before the Council in 1990 there was a project called
16 Grand Gulf (phonetic) where we installed about seven
17 miles of this pipe type cable system.

18 So with all that, typically what you do is
19 certainly work with the appropriate town officials for a
20 traffic and control plan such that all the needs can be
21 met. And certainly as we met with the towns, that's
22 something we intend to do wholeheartedly.

23 You then proceed in a manner -- and I'll
24 talk about commercial primarily -- you proceed in a

HEARING RE: CL&P and UI
APRIL 20, 2004

1 manner that -- at least from the town's point of view,
2 nighttime construction would be a preference because the
3 traffic flow would be a great deal less -- you map out
4 perhaps a couple of blocks and you would proceed to saw-
5 cut the appropriate width of the trench. And in doing
6 so, you could probably do two to three blocks, maybe
7 around twelve hundred to 2,000 feet. Then on or about
8 rush-hour thereafter, you would proceed as the graphic
9 shows. And you typically -- as Mr. Zak has testified,
10 the trench width is roughly four feet, so you would have
11 kind of straddling this particular trench either a track
12 machine or a backhoe. And that particular device would
13 proceed and lift the appropriate asphalt and concrete in
14 state roads. And adjacent to that would be a dump truck.

15 So as you then excavate this particular asphalt, you
16 would put it in a dump truck and they would march along
17 to where the appropriate landfill would be.

18 Right -- right after that you would then
19 excavate the trench itself. And as you excavate the
20 trench, certainly you would have prior to that a number
21 of things. You would have formed pipe plans that give
22 you an idea of where utilities are today. You would have
23 already by state law called -- what we call is Call
24 Before You Dig to make sure they appropriately mark the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 roadway with various colors that I'm sure a lot of the
2 Council members have seen reflecting which utility was
3 indeed potential that you'd want to take care. So as you
4 start trenching in the areas that you see utilities,
5 you'd probably throw in a few men or women and have them
6 hand-dig around these utilities to make sure the drawings
7 are appropriate and you don't certainly from a safety
8 point of view end up in a larger scale problem, you can
9 foresee that. So you trench perhaps twelve hundred to
10 thirteen, fifteen hundred feet on that given night.

11 Proceeding the trenching, you would then
12 have a pipe crew ready to install piping by essentially
13 taking the 40 to 50-foot lengths, welding the sections
14 together and dropping them in the appropriate
15 configuration that we just walked through.

16 On that given night as well, you would do
17 X-rays to the appropriate welds and make sure they're
18 secure. And then proceed, as Mr. Williams has testified,
19 with backfilling with the thermalized backfill, in this
20 case again a lean concrete I think is his description,
21 which I think is very fair. As you proceed to fill the
22 trench with the lean concrete, you would immediately
23 backfill with excavated material, so that you would bring
24 the roadway up to the surface -- on or about to the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 surface level with appropriate compaction for compaction.
2 And then as you can put a cold patch on, which is a
3 requirement I understand across both city and state. And
4 to the extent there's open trench that you need to take
5 care of, we would steel plate as we appropriately have
6 done in many times, and prepare the road surface so that
7 rush-hour the next morning is free and clear.

8 CHAIRMAN KATZ: Mr. Prete, that
9 description that you just gave for installation, it
10 sounds like -- I'm going to mention Lincoln Street
11 because we heard from residents at the public hearing --
12 is this something you can do on Lincoln Street in a 24-
13 hour period?

14 MR. PRETE: Ma'am, I don't know exactly
15 the length of Lincoln Street, but if it's within the 12
16 to fifteen hundred foot span, I don't see any reason why
17 you couldn't do it at all. Again, I think --

18 CHAIRMAN KATZ: Okay, if you could answer
19 that question maybe after lunch --

20 MR. PRETE: Sure --

21 CHAIRMAN KATZ: -- after you've had a
22 chance --

23 MR. PRETE: Sure.

24 CHAIRMAN KATZ: Thank you.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. WALSH: Is it --

2 MR. ASHTON: Along that same vein, would
3 you characterize the physical construction of the trench,
4 the installation of the pipe and manholes, not the cable
5 splicing, as materially different from any of the other
6 normal activities that go on in the installation of water
7 mains, sewer lines, what have you?

8 MR. PRETE: On a high level, not at all.
9 I would say they're exactly the same.

10 MR. ASHTON: Thank you.

11 MR. WILLIAMS: Can I expand on --
12 (indiscernible) -- a little bit, John?

13 MR. PRETE: If you want to.

14 MR. WILLIAMS: Just to the point that
15 we're very particular on bending radii because we cannot
16 put in 90-degree bends and so forth the way that
17 operators of other pipe systems in the streets can. So
18 we're very particular for that and for the thermal
19 reasons that Mr. Prete mentioned.

20 MR. ASHTON: But again I go back to my
21 basic question, is that materially different as far as
22 the civil work goes associated with the installation of a
23 system? A slightly different bending radii, maybe a
24 slightly different depth, but is it radically different,

HEARING RE: CL&P and UI
APRIL 20, 2004

1 is it materially different?

2 MR. PRETE: No.

3 MR. ASHTON: Thank you.

4 MR. WALSH: I'd like to follow up on that
5 if I might. You're saying that construction that's going
6 to require a 4-foot wide by 5-foot deep trench that's
7 approximately 24 inches wide by several feet thick
8 installation with backfill material is no different than
9 any other installation in the State of Connecticut that
10 you've seen with respect to utility installations?

11 MR. PRETE: I think Mr. Ashton was right
12 on point that we have distribution duct banks. For
13 instance to take one of the examples Mr. Ashton said, the
14 trench size would be very little from the point of view
15 of the width and depth. And indeed a duct bank is a duct
16 bank, so you would put, you know, perhaps not six-inch
17 pipe, but five. But as far as the size of that
18 particular trench, I can give you some examples where
19 we've done that time and time again, so --

20 MR. WALSH: And -- and with respect to any
21 obstructions that you run into along the way, I believe
22 you said that you were going to hand-dig around any
23 existing utilities that you find. Using this diagram as
24 an example, we're assuming that there would be water

HEARING RE: CL&P and UI
APRIL 20, 2004

1 hookups, sewer hookups, gas, other utilities going to
2 each one of these. Is it your testimony that you will be
3 able to hand-dig around a sixteen hundred -- hand-dig
4 around any utilities that you find within the roadway as
5 well as excavating complete a sixteen hundred foot
6 section within the nighttime construction period, is that
7 your testimony?

8 MR. PRETE: Yes, it is, but I would
9 preface it by saying that the first thing you do is take
10 an intelligent look at all the drawings that the
11 utilities and the city has as to where the utilities are
12 presently located. You take a prudent approach then to
13 route the particular line in the best area that has the
14 least amount of conflicts. And yes at that point in
15 time, then what we would need to do is take a look as to
16 where the crossings are and take a very safe and
17 appropriate approach. And hand digging if that what's
18 necessary, that's what will be done.

19 MR. WALSH: And when you hand-dig around
20 these obstructions -- I heard testimony with regard to
21 the concern about the flexibility of the pipe, the
22 bending radii -- will the pipe be sufficiently flexible
23 that it will be able to get around any obstructions that
24 are currently existing in the right-of-way?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. PRETE: I think you're painting a
2 picture like an accordion that bends. And indeed this
3 does not. That's why you need to open up the trench of
4 about twelve to thirteen hundred feet to find out exactly
5 what you need to do prior to ending up with that
6 conflict. And you can do gentle bends as you approach
7 these type of crossings if need be.

8 MR. O'NEILL: Mr. Prete -- excuse me -- at
9 the present time are there any underground utility lines
10 along DOT right-of-ways in the State of Connecticut?

11 MR. PRETE: I'm sorry, I didn't get your
12 question.

13 MR. O'NEILL: Are there presently any
14 underground utility lines underneath DOT roads at this
15 point in time in Connecticut?

16 MR. PRETE: Speaking for UI, absolutely.

17 MR. O'NEILL: Where are they located?

18 MR. PRETE: Some are located on the Post
19 Road, Route 1, Route 10. I can get a number of them if
20 you'd like --

21 MR. O'NEILL: And how old are those lines?

22 MR. PRETE: I'm sorry?

23 MR. O'NEILL: How old are those lines?

24 MR. PRETE: Some could be --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. O'NEILL: Approximately?

2 MR. PRETE: -- as old as 30 years. Some
3 could be as recent as 10.

4 MR. O'NEILL: Have there been any problems
5 coordinating these efforts with DOT in the past?

6 MR. PRETE: Mr. O'Neill, none whatsoever.

7 MR. O'NEILL: Thank you.

8 MR. WALSH: Are there -- are there any --
9 other than one transmission line in the New Haven area,
10 are you aware of any transmission lines that are in state
11 highway rights-of-way? (Pause). If you know, Mr. Prete.
12 Is there somebody else that you would like to have come
13 up to testify?

14 MR. PRETE: Yeah -- well, actually not
15 come up -- I think Mr. Reed might be able to answer some
16 of that question.

17 MR. RICHARD REED: In North Haven along
18 Route 5 we have a 115-kV high pressure gas filled cable.

19 COURT REPORTER: Sir, would you identify
20 yourself please.

21 MR. REED: Richard Reed, R-e-e-d.

22 COURT REPORTER: Thank you.

23 MR. WALSH: Has Mr. Reed been sworn
24 already, Madam Chairperson --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. REED: Yes, I have.

2 MR. WALSH: Okay, thank you. I'm sorry,
3 you said there's 115-kV --

4 MR. REED: A 115-kV high pressure gas
5 filled cable on Route 5 in North Haven on State Street.

6 MR. WALSH: And do you know what the
7 length of that cable is, sir? (Pause). Is there -- is
8 there some -- is there somebody else you'd like to have
9 testify?

10 MR. REED: Approximately, a half mile.

11 MR. WALSH: A half a mile?

12 MR. REED: Yep.

13 MR. ASHTON: If the question were expanded
14 to include distribution, would your answer be the same or
15 different?

16 MR. PRETE: It would be entirely different
17 and there would be a lot more locations that we'd be able
18 to converse --

19 MR. ASHTON: And from a practical
20 standpoint --

21 COURT REPORTER: A microphone please.

22 MR. ASHTON: From -- from a practical
23 standpoint, what's the difference between -- and I'm
24 thinking practical i.e. installation standpoint, what's

HEARING RE: CL&P and UI
APRIL 20, 2004

1 the difference between distribution and transmission, if
2 any?

3 MR. PRETE: From a practical standpoint,
4 Mr. Ashton, I don't believe there is any.

5 MR. ASHTON: Thank you.

6 MR. EMERICK: Is there a time difference
7 in the installation of distribution and transmission?

8 MR. PRETE: If there is, it's not really
9 notable. I mean you're going to spend a little time with
10 the pipe to X-ray it and weld it, but for all intents and
11 purposes the timing is virtually the same.

12 MR. EMERICK: So if we're doing a thousand
13 feet of distribution and a thousand feet of transmission,
14 the same time?

15 MR. PRETE: Again, a thousand feet I need
16 to make a clarification, I don't think I had finished the
17 total construction -- that would be our preference is to
18 open up a trench of about a thousand feet on a continuous
19 basis. Our expectations of total construction from start
20 to finish is about 200 feet per day. So about a mile
21 would take about five weeks from start to finish. But
22 you'd want to progress so that you can -- as to the
23 question I was asked, you want to make sure that what's
24 in front of you, you can accommodate, so you're opening

HEARING RE: CL&P and UI
APRIL 20, 2004

1 up a trench so that you're getting kind of a bird's eye
2 view as to exactly what you need to do with this pipe.
3 But again, as we had stated, that if you do not put cold
4 patch or tar back on the road before the end of the day,
5 then you'd steel plate it so that appropriate traffic can
6 occur for the next day.

7 MR. REED: I'd like to clarify. Mr. Prete
8 is talking about civil construction. When you actually
9 get into the splicing itself, the splicing on 345-kV does
10 take quite a bit longer than the 115-kV distribution
11 cable.

12 CHAIRMAN KATZ: Yeah, but you're not
13 opening -- or keeping the road open to do the splicing --

14 MR. REED: Correct. I just wanted to make
15 a clarification that we would be there with the splicing
16 vans for a longer period of time, but the road would not
17 be opened up.

18 CHAIRMAN KATZ: Okay.

19 MR. WALSH: But while you're splicing,
20 traffic is still going to have to be diverted around that
21 splicing truck, correct?

22 MR. REED: Correct.

23 MR. ASHTON: If that -- that would assume
24 then that the splice is in, in fact, the travel-way. And

HEARING RE: CL&P and UI
APRIL 20, 2004

1 would it not be possible in many locations to set the
2 splicing chamber just off to the edge of the right-of-
3 way?

4 MR. PRETE: Mr. Ashton, when you say the
5 right-of-way, in between --

6 MR. ASHTON: Travel -- the traveled
7 portion.

8 MR. PRETE: Again, I think to answer your
9 question -- and I don't mean to be dodging it at all --
10 it would depend on the physical location within the curve
11 lines. If there's more utilities that are perhaps in the
12 parking lane on Route 1, it would be very hard to put a
13 splicing chamber --

14 MR. ASHTON: Obviously, there are a lot of
15 it depends, but my point is, is it not practical to
16 locate in a given situation the splicing chamber just off
17 the right-of-way so that the cable follows along the edge
18 of the traveled portion, that the splicing chamber is
19 just outside of the traveled portion?

20 MR. PRETE: Certainly we could work with
21 DOT --

22 MR. ASHTON: Wouldn't that be a reasonable
23 way to go --

24 MR. PRETE: We -- we could certainly work

HEARING RE: CL&P and UI
APRIL 20, 2004

1 in that vein to the extent we could.

2 MR. ASHTON: Thank you.

3 MR. WALSH: Thank you. With respect to
4 any conflicts that you said you would have to hand-dig,
5 how would you go about discovering those conflicts in
6 opening the trench without running into the possibility
7 of actually severing some of those connections that are
8 out there?

9 MR. PRETE: Are you aware of Call Before
10 You Dig?

11 MR. WALSH: Yes, I am.

12 MR. PRETE: That would be one very
13 important way that we would be able to identify exactly
14 where the utilities are. And since you're aware, I won't
15 go into a lot of detail, but the utilities go out as well
16 as the State or the city and they actually mark on the
17 pavement the location of the appropriate facility that
18 they have. And we would give indeed C-DOT, or Call
19 Before You Dig a print that shows exactly where our
20 construction anticipation is, they would go out and mark
21 it. Once they mark it, we have a great and firm idea as
22 to exactly where those particular utilities are, and we
23 take care as we approach them.

24 MR. TAIT: Mr. Prete -- (indiscernible) --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 any other sewer line --

2 MR. PRETE: You guys are doing a good job
3 in keeping me honest. No, sir, there isn't.

4 MR. WALSH: Are you aware of any
5 incidences where Call Before You Dig may not identify
6 utilities where certain utilities are severed in the
7 course of trenching or construction activities in the
8 right-of-way?

9 MR. PRETE: Sure, those have occurred.

10 MR. WALSH: To the extent that that did
11 occur, would UI notify the owner of that facility that
12 the facility had been damaged so that the owner of that
13 facility would be able to instruct the Applicants as to
14 how to repair it properly?

15 MR. PRETE: Absolutely. And in fact, the
16 utilities have been very cooperative. In areas that are
17 more concerned than not, they might even have a utility
18 representative there at the time that we're constructing
19 around that, so that many of these individuals know
20 specifically what is happening in the field. So they
21 would actually partner with us to do that.

22 MR. WALSH: Let me ask a question about
23 any future construction the DOT may need to do along its
24 right-of-way. For example, if the DOT needed to put a

HEARING RE: CL&P and UI
APRIL 20, 2004

1 new drainage structure in to improve environmental
2 conditions in a certain area of the highway and yet your
3 transmission line facility is blocking the connection to
4 a storm sewer, could you detail the steps that would have
5 to be taken to allow the DOT to connect its new drainage
6 line to the existing storm sewer system?

7 MR. PRETE: Certainly, I'd be happy to.
8 We fully expect to give as built drawings to C-DOT as we
9 complete our particular installation, and certainly you'd
10 have a great idea as to where the utility was located in
11 that vein. And we'd work with you certainly as you start
12 to design your new system in such a way as to explain
13 where we are, why we're there, and certainly engineer a
14 solution in those conflicts if they indeed occur.

15 MR. WALSH: If there's a need for the
16 drainage system to go perpendicular to the existing
17 transmission line, what would it entail for either the
18 transmission line to be moved or some other
19 reconciliation of the conflict between these two
20 structures?

21 MR. PRETE: Well, I think that the best
22 reconciliation is to design around it before you have to
23 go in and meet the conflict, which I think is quite
24 simple to do. To the extent that it would require the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 relocation of the transmission, that would be very
2 difficult.

3 MR. WALSH: And when you say very
4 difficult, it would also be very costly?

5 MR. ZAKLUKIEWICZ: Yes.

6 MR. PRETE: What he said. Yes.

7 MR. REED: I'd like to add -- I've worked
8 with the DOT for -- (indiscernible) --

9 COURT REPORTER: Hold it, hold it -- hold
10 on -- a microphone --

11 A VOICE: Mr. Reed --

12 CHAIRMAN KATZ: Start again please.

13 MR. REED: I've worked with the DOT for 33
14 years in this business and we have had many occasions
15 where we've had conflicts. We have always been able to
16 work them out with the DOT. One way or another, if it's
17 easier for us to move, we will move. If it's easier for
18 the DOT to just slightly redesign their facilities, they
19 will do it. But in 33 years, I cannot remember a time
20 that we have not been able to work things out with the
21 DOT. We work in the city streets every day, we work in
22 the state highways every day, and we have always been
23 able to work these things out with the DOT.

24 MR. WALSH: Do you know, Mr. Reed, what

HEARING RE: CL&P and UI
APRIL 20, 2004

1 the cost of moving this transmission facility would be
2 if, in fact, the conflict had to be resolved by moving
3 the transmission line as it sits in the highway right-of-
4 way?

5 MR. REED: That's a -- that's a very
6 difficult question. It's like asking how long is a
7 string. I mean it depends on what the conflict is. If
8 it's a longitudinal conflict where we might have to move
9 a thousand feet of the line, that's a different issue.
10 We have done this. In one case in regard to the
11 Boulevard Bridge in New Haven a number of years ago, we
12 had to relocate approximately 2,000 feet of 115-kV high
13 pressure gas filled cable, and the cost of that was --
14 and again this was 20 years ago, but it was in the order
15 of probably a half a million dollars to do that.

16 MR. WALSH: With respect to let's say a
17 simple drainage line, if the DOT wants to put an 8-inch
18 reinforced concrete drainage line from a catch basin to
19 across the street to connect to a storm sewer line and
20 yet it was a conflict with your transmission line, what
21 would it cost to move that transmission line such that
22 the DOT could access that storm sewer?

23 MR. REED: From a practical point of view
24 --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. WALSH: Yes.

2 MR. REED: -- the DOT would probably work
3 with us to come up with a little different design than
4 force us to move a 345-kV transmission line. DOT works
5 with us constantly. And there are many things -- many
6 more things you could probably do with something like
7 that than you could move the transmission line. And the
8 DOT has in the past many times redone their design
9 slightly so that they could avoid moving it. Again, we
10 do this every day with street widenings, whatever. We
11 work together to come up with the lowest cost for the
12 people in Connecticut.

13 MR. WALSH: So is it -- I'm sorry.

14 MR. O'NEILL: Excuse me -- (indiscernible)
15 -- if we were to look at a cross section of a road and
16 look at the substrata, are there accepted norms for
17 structural engineering which would indicate different
18 levels of the roadway that would be appropriate for
19 drains as opposed to sewer lines as opposed to utility
20 installations?

21 MR. REED: I think there's more -- there's
22 some general practices around. Storm sewers would
23 usually go deeper. But we try to -- we all try to co-
24 exist. Many of the streets are very crowded. Especially

HEARING RE: CL&P and UI
APRIL 20, 2004

1 as you get into a downtown area, the streets are very
2 crowded. We try to stay out of each other's way. Many
3 times we're at the same depth in many areas and we will
4 come to crossings and we will try to avoid each other.
5 Again, it's just -- it's a constant thing that goes on
6 day after day.

7 MR. O'NEILL: Well, we look at -- if we
8 examine a labyrinth, such as the streets under New York
9 City for example, and somehow they co-exist --

10 MR. REED: Yes, they do --

11 MR. O'NEILL: -- and they've been built
12 over the course of a 150 years or more. So obviously
13 there's a coordinating agency involved and these things
14 are done on a routine basis, are they not?

15 MR. REED: Yes, they are. And actually,
16 Mr. Williams used to be a cable engineer for Con-Ed and
17 he could probably elaborate on that much more than I can
18 about what it's like trying to build something in New
19 York City.

20 CHAIRMAN KATZ: Well, now that we're
21 streetwise, I think we're going to adjourn for lunch.
22 We're going to resume at 1:00 o'clock where Mr. Walsh
23 will continue cross-examination. Following Mr. Walsh, we
24 have cross-examination by Mr. Reif, Mr. Ball and Mr.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Cederbaum. And Mr. Fitzgerald, I think you indicated you
2 were going to get into the record this afternoon the
3 Milford Mayor's remarks on the East Devon Substation?

4 MR. FITZGERALD: The Milford Mayor's
5 remarks? I thought -- we spoke about a letter from
6 Bridgeport and a letter from Westport, which we said we
7 would file as a supplement to our return of the municipal
8 consultation materials. I don't know what you're --

9 MS. RANDELL: My recollection of the
10 prehearing conference is that we were going to deal with
11 --

12 COURT REPORTER: A microphone please.

13 MS. RANDELL: Sorry, Tony. My
14 recollection of the prehearing conference is that we were
15 going to deal with a letter from the City of Bridgeport
16 with respect to Singer Substation and a letter from the
17 City of Milford --

18 A VOICE: Oh, I'm sorry --

19 MS. RANDELL: -- as a supplement to the
20 municipal filing. I actually do have copies of the
21 City's letter to Mr. Prete dated April 5, which I'd be
22 happy to hand out to the Council members now.

23 CHAIRMAN KATZ: Yes, if you could do that.
24 And then I'd like to after lunch have -- make sure that

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Council members who have any questions about the East
2 Devon Substation, that we have an opportunity to explore
3 that. Mr. Cederbaum?

4 MR. CEDERBAUM: Excuse me, Madam Chairman.
5 And I believe that at the prehearing conference the
6 submission by the Town of Westport was accepted as a
7 limited appearance.

8 CHAIRMAN KATZ: Yes. We're just going to
9 ask you to put that the record when we get to that.

10 MR. CEDERBAUM: Okay, very good. Thank
11 you.

12 CHAIRMAN KATZ: Any other procedural
13 matters before the lunch break? Hearing none, we are
14 adjourned until 1:00 o'clock.

15 (Whereupon, a luncheon recess was taken.)

16 ACTING CHAIRMAN TAIT: I'd like to call
17 the afternoon session to order. Mr. Fitzgerald, you
18 would like to be recognized?

19 MR. FITZGERALD: Thank you, Mr. Tait. I
20 just wanted to let people know that as promised this
21 morning, we do have copies of the letter from the City of
22 Bridgeport, which is -- which can be picked up. They're
23 over on the table there. We also have copies of Mr.
24 Zak's supplemental testimony that was filed yesterday.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 It's being served in the normal way, but there are copies
2 that people can pick up on the table.

3 We also have on the table just as a little
4 show and tell exhibit for anyone who's interested, a
5 slice of the actual HPPF cable that would be used in this
6 proposal.

7 And Mr. Zak does have some further
8 information about the N-STAR project, which he could
9 provide now or later at your --

10 ACTING CHAIRMAN TAIT: I have a letter
11 dated April 5, 2004 to Mr. Prete. Is that the letter
12 you're referring to?

13 MR. FITZGERALD: Yes, Mr. Tait.

14 ACTING CHAIRMAN TAIT: And I think it
15 ought to be put into evidence as Applicant's No. 60, am I
16 correct --

17 MR. FITZGERALD: Well --

18 ACTING CHAIRMAN TAIT: -- or how would
19 like to handle that?

20 MR. FITZGERALD: It could -- yeah, I --
21 it's actually a continuation of the municipal
22 consultation process, but --

23 ACTING CHAIRMAN TAIT: And does that --
24 does that have a docket number --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. FITZGERALD: It has a -- there is a --

2 ACTING CHAIRMAN TAIT: -- or an exhibit
3 number --

4 MR. FITZGERALD: -- a very large group
5 exhibit, which is --

6 ACTING CHAIRMAN TAIT: We'll handle it any
7 way you would like us to--

8 MR. FITZGERALD: -- numbered municipal
9 consultation materials, No. 4. I think that it could
10 just be -- the letter could just be added to the end of
11 the --

12 ACTING CHAIRMAN TAIT: Will the record
13 reflect that this letter is being added to the municipal
14 consultation filing --

15 MS. RANDELL: I suppose we'll do whatever
16 is easiest at this point. If you think it would be
17 easiest, we could ask Mr. Prete to say yes he did receive
18 this letter and we could make it a separate free-standing
19 exhibit.

20 ACTING CHAIRMAN TAIT: I doubt that
21 anybody has an objection. Does anybody object to it
22 going in? Hearing none, whatever suits your -- let's put
23 it in as part of the municipal consultations --

24 MS. RANDELL: Fine.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. FITZGERALD: And we have a -- we have
2 a Westport letter as well --

3 ACTING CHAIRMAN TAIT: Yeah, okay --

4 MR. FITZGERALD: -- that's coming up.

5 (Whereupon, a letter from the City of
6 Bridgeport to J. Prete was added to Applicants' Exhibit
7 No. 4 previously marked.)

8 ACTING CHAIRMAN TAIT: Okay. And I guess,
9 Mr. Zak, we would like to be updated on the N-STAR.

10 MR. ZAKLUKIEWICZ: Certainly. A couple of
11 pieces of information. No. 1, existing today in the
12 North Star service territory, they have 36 miles in total
13 of 345-kV HPPF cable.

14 ACTING CHAIRMAN TAIT: That's existing?

15 MR. ZAKLUKIEWICZ: That is existing and in
16 service. What is being proposed is two cables from an
17 area not specifically designated in Stoughton, Mass, and
18 that's spelled S-t-o-u-g-h-t-o-n, which is south of
19 Boston downtown proper, to a substation called K Street,
20 which is the location of the new Boston generating
21 facilities in downtown Boston. Each of those two cables,
22 and they're HPPF cables, are 15.4 miles in length. Along
23 a portion of that same right-of-way will be a third
24 cable, which will go from the same station in the Town of

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Stoughton, Mass. to Hyde Park, and Hyde Park is in the
2 southwest corner of Boston proper, and that cable will be
3 approximately 11.3 miles --

4 ACTING CHAIRMAN TAIT: I thought all
5 Bostonians were proper -- (laughter) --

6 MR. ZAKLUKIEWICZ: Excuse me?

7 ACTING CHAIRMAN TAIT: I thought all
8 Bostonians were proper.

9 MR. ZAKLUKIEWICZ: You got me there, Mr.
10 Tait.

11 ACTING CHAIRMAN TAIT: Is there an
12 improper Bostonian -- but continue.

13 MR. GERALD J. HEFFERNAN: Excuse me. The
14 longest continuous span is 38 miles?

15 MR. ZAKLUKIEWICZ: No, the -- the existing
16 36 miles I think is made up of approximately six or eight
17 cables -- cable lines that make up the existing 36 miles
18 today that is in place.

19 MR. ASHTON: Mr. Zak, just a
20 clarification. The six or eight cable miles are circuits
21 terminal to terminal, aggregating a total of 36 miles, is
22 that fair?

23 MR. ZAKLUKIEWICZ: Thirty-six miles,
24 correct --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. ASHTON: Okay, so it's --

2 MR. ZAKLUKIEWICZ: -- those are in total.

3 MR. ASHTON: It's a number of circuits
4 added --

5 MR. ZAKLUKIEWICZ: It's a multiple number
6 of circuits and they're either six or eight, which make
7 up those -- that total length of 36 miles, Mr. Heffernan.

8 MR. HEFFERNAN: Thank you.

9 MR. ZAKLUKIEWICZ: And -- and just to
10 clarify, the initial project is to install a cable from
11 Stoughton, Mass. to K Street, install a second cable at
12 the same time from Stoughton, Mass. to Hyde Park, install
13 the pipe for a -- this third cable that I spoke to, which
14 would go from Stoughton to K Street in downtown Boston,
15 that would be installed in the future in the year 2007 or
16 2009 or 2010. So there would be a duct bank, three pipes
17 installed, two of them would initially have cables in it,
18 the third would be a spare pipe for the pull-in when it's
19 necessary to install the cable in the third pipe.

20 MR. DANIEL P. LYNCH, JR.: Just for
21 clarification, Mr. Zak, they're all fluid cables?

22 MR. ZAKLUKIEWICZ: These are all HPFF and
23 steel pipe.

24 ACTING CHAIRMAN TAIT: Thank you for your

HEARING RE: CL&P and UI
APRIL 20, 2004

1 update. Mr. Walsh, thank you for waiting, and you're on.

2 MR. WALSH: Thank you.

3 ACTING CHAIRMAN TAIT: I think for
4 everybody's benefit, we're on page 15 of the hearing
5 program, down to No. 17.

6 MR. WALSH: Thank you. I'd like to direct
7 a question to Mr. Reed where I left off I believe. Mr.
8 Reed had previously discussed the coordination between
9 the DOT and the Applicants with regard to past utility
10 relocations, is that correct?

11 MR. REED: Yes, sir.

12 MR. WALSH: And in your experience of
13 about 33 years of working on behalf of utilities with the
14 DOT, that you've been able to work out any conflicts in
15 the past. Is that an accurate statement?

16 MR. REED: Yes, it is.

17 ACTING CHAIRMAN TAIT: Mr. Reed, those 33
18 years was with the Applicant and not with the DOT?

19 MR. REED: With United Illuminating
20 Company, yes.

21 ACTING CHAIRMAN TAIT: Alright.

22 MR. WALSH: During that time are you
23 familiar with the Q Bridge project in New Haven, sir?

24 MR. REED: Very familiar.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. WALSH: Are you aware of the fact that
2 as part of this coordination between the DOT and United
3 Illuminating that the DOT was reimbursing United
4 Illuminating to the cost of 4.7 million dollars for a
5 115-kilovolt cable associated with that project?

6 MR. REED: I am aware of the
7 reimbursement. It's more than a 115-kV cable though.
8 There are a number of transmission lines involved in that
9 project.

10 MR. REED: If you would like to elaborate
11 on that, that would be fine?

12 MR. REED: Sure. There is a 345-kV
13 overhead transmission line that crosses I-95, which has a
14 structure being relocated. There's a double circuit 115-
15 kV line that crosses New Haven Harbor, we are locating a
16 number of structures there. There is a double circuit,
17 high-pressure fluid filled cable that runs from our Grand
18 Avenue to West River Substation that are being relocated.
19 And there's also a low pressure oil filled cable that's
20 being relocated as part of that project.

21 MR. WALSH: With respect to those cables,
22 there's one high pressure fluid filled cable?

23 MR. REED: There's a double circuit, two
24 cables of high pressure fluid filled.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. WALSH: And do you know what the cost
2 to relocate those were as part of that total relocation
3 cost?

4 MR. REED: I do not, but we could get that
5 information.

6 MR. WALSH: Would it be fair to say that
7 the relocation of the high pressure fluid filled cable
8 was more than the cost of the 115-kilovolt overhead
9 relocation?

10 MR. REED: Subject to check, I'd said that
11 you're probably right. There was more of that that had
12 to be relocated.

13 MR. EMERICK: Colin.

14 ACTING CHAIRMAN TAIT: Brian.

15 MR. EMERICK: Yeah. Mr. Reed, could you
16 clarify, we're talking about a variety of different
17 structures that were relocated as a result of a 95
18 widening?

19 MR. REED: Yes.

20 MR. EMERICK: Some of those were I assume
21 in a DOT right-of-way and others were not in the right-
22 of-way but had to be relocated --

23 MR. REED: That's -- that is correct --

24 MR. EMERICK: -- at least in my mind it's

HEARING RE: CL&P and UI
APRIL 20, 2004

1 rather confusing when we're talking about costs as to
2 where you sought reimbursement for things out of the
3 right-of-way versus things in the right-of-way. So just
4 so the record is clear, maybe we should distinguish -- I
5 think what Mr. Walsh is going to in terms of where costs
6 were recovered and where they weren't.

7 MR. REED: There are -- basically, being a
8 limited access highway as I-95 is, we are entitled by
9 statute to approximately a hundred percent reimbursement
10 of any relocation that we have to do because of that
11 project. And the transmission lines and the -- the
12 overhead transmission lines and the underground
13 transmission lines are not all today within the right-of-
14 way of that limited access highway. I'm not sure if I
15 answered your question or not.

16 COURT REPORTER: A microphone please --

17 MR. HEFFERNAN: In or out of the right-of-
18 way -- (indiscernible) --

19 MR. REED: There's both --

20 MR. HEFFERNAN: yeah --

21 MR. REED: -- they are both in and out of
22 the right-of-way.

23 COURT REPORTER: I didn't hear that
24 question at all, I'm sorry. Could you repeat that --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. HEFFERNAN: No, I just said the
2 recovery was for both in or out of the right-of-way is my
3 understanding.

4 MR. REED: And the answer is both.

5 COURT REPORTER: Thank you.

6 MR. REED: Through that, we have been able
7 to work out any differences we've had with the DOT.

8 MR. WALSH: And I heard earlier testimony
9 to the extent that with regard to the proposed facility
10 that's going to be placed along the preferred route in
11 this docket, that through advanced planning, the DOT and
12 the Applicants would be able to hopefully work out any
13 conflicts that would necessitate the relocation of the
14 proposed facility, is that correct?

15 MR. REED: Again, based on my experience
16 with the DOT, we have been able to work out conflicts
17 where they existed.

18 MR. WALSH: With respect to any future
19 road construction that would necessitate the movement of
20 this structure, what would you estimate the cost to be if
21 in fact a section of this facility had to be moved? And
22 let's use the number of fifteen hundred feet for example
23 from one vault to another?

24 MR. REED: I don't think I could sit here

HEARING RE: CL&P and UI
APRIL 20, 2004

1 and estimate that. We could get a number.

2 MR. ASHTON: Mr. Reed, wouldn't that
3 depend a little bit on how far it's got to be moved --

4 MR. REED: It --

5 MR. ASHTON: -- and that type of thing?

6 MR. REED: It absolutely does. It depends
7 on how far it has to be moved, how many manholes are in
8 the splicing chambers. It would depend on an awful lot
9 of things. I mean if -- we could assume a whole bunch of
10 things to come up with that estimate, but it's going to
11 be very very site specific.

12 MR. WALSH: Well, could you give me a
13 general estimate as to what it would cost to install this
14 facility within a fifteen hundred foot stretch between
15 two vaults?

16 MR. PRETE: John Prete -- I've got speaker
17 13 I guess, I'm not very happy with that number --
18 (laughter) -- yes, regarding the question. If you look
19 in the application, and very simply put, I think that the
20 direct cost of the entire 24 miles is approximately 177
21 million. So if you rough that out, I think it's about
22 eight million a mile --

23 MR. ASHTON: But that would include
24 splicing chambers and terminals and so forth, would it

HEARING RE: CL&P and UI
APRIL 20, 2004

1 not? This is a case -- the question was just between
2 splicing chambers --

3 MR. PRETE: Right. I would --

4 MR. ASHTON: -- so it's a dollars per foot
5 for pipe and cable --

6 MR. PRETE: Right, I was going to get
7 there --

8 MR. ASHTON: -- and so --

9 MR. PRETE: -- I figured that if you're
10 going to remove something in the middle, that you'd have
11 to splice as well. So, I guess in fairness to the
12 assumption, that if you're going to move a cable, you're
13 going to have to splice either end --

14 MR. ASHTON: In an existing splicing
15 chambers to --

16 MR. PRETE: Potentially. I mean that
17 would be the optimum way to do it, and probably the least
18 costly.

19 MR. ASHTON: Well, that's the way the
20 question I think was posed, so that --

21 MR. PRETE: Then it would be south of
22 eight million, perhaps in the area of four to six.

23 MR. WALSH: Is that per mile or per
24 fifteen hundred foot section?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. PRETE: That's per mile.

2 MR. ASHTON: So roughly divide by three
3 for this question.

4 MR. PRETE: Yes.

5 MR. WALSH: So getting back to my earlier
6 question, if the DOT did in fact have to move a part of
7 the transmission facility within the right-of-way due to
8 a drainage feature, would that be a fair estimate of
9 approximately two million dollars to simply put in a
10 drainage pipe?

11 MR. PRETE: Without any other assumptions
12 or any work, that would probably be a fair number.

13 MR. WALSH: And who would bear the cost of
14 moving that facility, sir, if you know?

15 MR. PRETE: I do not know.

16 MR. REED: Again, depending on whether it
17 was a limited access highway or basically a Route 1 type,
18 the State statutes do set those limits, a hundred percent
19 for limited access highway, 50 percent bearing by the
20 State on non-limited access highways.

21 MR. WALSH: So is it your testimony that
22 if the State were to simply put in a drainage pipe and it
23 required the movement of a structure, it would cost the
24 State 50 percent of two millions dollars, is that

HEARING RE: CL&P and UI
APRIL 20, 2004

1 correct?

2 MR. REED: I apologize, could you repeat
3 the question?

4 MR. WALSH: If the State needed to put in
5 a drainage pipe that necessitated the movement of the
6 proposed facility, that the State's cost to put in that
7 drainage pipe would be 50 percent of two million dollars
8 or one million dollars?

9 MR. REED: No, I would not assume that
10 because again I would say that, first of all, we would
11 try to minimize the conflicts --

12 MR. WALSH: It -- well, I'd like to assume
13 there's a conflict --

14 MR. REED: If you're saying --

15 MR. WALSH: -- that it has to be moved.

16 MR. REED: That is a stretch, because if
17 you're talking fifteen hundred feet --

18 ACTING CHAIRMAN TAIT: It's his question.

19 MR. REED: Okay, I'll answer his question.

20 MR. WALSH: Thank you.

21 MR. REED: Yes, we would expect the State
22 to reimburse us.

23 MR. WALSH: So it would cost one million
24 dollars for the State to put in a drainage feature, a

HEARING RE: CL&P and UI
APRIL 20, 2004

1 drainage pipe?

2 ACTING CHAIRMAN TAIT: Under those
3 assumptions.

4 MR. WALSH: Under those assumptions.

5 MR. REED: With all those assumptions,
6 including the fact that we had to move it the entire
7 distance, yes.

8 MR. WALSH: Thank you.

9 MR. ASHTON: Does that assume the State
10 pays for this out of State funds and not out of any
11 federal support funds?

12 MR. REED: It really doesn't make a
13 difference to us. (Laughter).

14 ACTING CHAIRMAN TAIT: Mr. Walsh.

15 MR. REED: I believe --

16 COURT REPORTER: One moment --

17 MR. REED: -- I believe that the DOT would
18 be able to answer --

19 ACTING CHAIRMAN TAIT: One moment.

20 (Pause)

21 COURT REPORTER: Thank you.

22 ACTING CHAIRMAN TAIT: Mr. Walsh, from
23 your line of questioning, is DOT more concerned about
24 their budget or the safety and the operation of the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 highway with the -- are you worried about --

2 MR. WALSH: It's -- it's a two-fold --
3 it's a two-fold concern.

4 ACTING CHAIRMAN TAIT: What is your major
5 concern, the cost?

6 MR. WALSH: I believe it's two-fold. One
7 is the operational efficiency of the highway system in
8 the State of Connecticut, so that the traveling public
9 can efficiently move from one point to another. And the
10 other is in fact to protect the public with regard to
11 construction projects of state highways around the State
12 of Connecticut.

13 ACTING CHAIRMAN TAIT: It seems to me the
14 public is going to pay for this either through their
15 rates or through their taxes. I don't know which one is
16 more regressive. But I just wanted to get your position
17 out in the open.

18 MR. WALSH: Thank you. With regard to the
19 installation, I believe earlier, Mr. Prete, you indicated
20 that there would be a four-foot trench in the right-of-
21 way, in the highway. With ancillary equipment, wouldn't
22 that approximate almost 24 feet with the trench and the
23 associated equipment along the highway in order to
24 install the pipe and to open the trench during

HEARING RE: CL&P and UI
APRIL 20, 2004

1 construction?

2 MR. PRETE: Yes, as I -- as I was
3 explaining the construction method, that's correct,
4 that's exactly what I was trying to explain. So you did
5 a better job.

6 MR. WALSH: So there would -- so it would
7 take up approximately 24 feet of the right-of-way?

8 MR. PRETE: Yes.

9 MR. WALSH: Thank you. With regard to
10 splicing in the vaults, it's my understanding that once
11 splicing begins, that it must be a continuous operation,
12 and that it could not be discontinued. Is that a correct
13 assumption?

14 MR. ZAKLUKIEWICZ: That is correct.

15 MR. WALSH: And I heard earlier -- I
16 believe the testimony was that it would take
17 approximately a month to splice the cable in the vault,
18 is that correct?

19 MR. ZAKLUKIEWICZ: Cables -- three-phase
20 cables, for a single cable would take somewhere between
21 five and seven days to make up the splices on a single
22 cable. And since we're talking about two cables going
23 into the same manhole, we would be talking somewhere
24 between 10 to 14 days of continuous 24-hour a day work

HEARING RE: CL&P and UI
APRIL 20, 2004

1 going on once the splicing commences. So there will be
2 six splices made up in that -- in each manhole.

3 MR. WALSH: Is it -- is it five to seven
4 days per -- per each of the six splices, is that correct?

5 MR. ZAKLUKIEWICZ: Five to seven days for
6 each cable --

7 MR. WALSH: Cable being the three --

8 MR. ZAKLUKIEWICZ: Cable meaning the three
9 conductors in the cable, and recognizing we're talking
10 here of two cables such that you would then double that
11 time to somewheres between 10 to 14 days, work that would
12 be going on 24 hours a day in each vault doing the
13 splicing.

14 MR. WALSH: And again to the extent that
15 these were not located off the travel portion, rather
16 they were located in the travel portion of the highway,
17 that would require the closure of at least one lane of
18 traffic, correct?

19 MR. ZAKLUKIEWICZ: That would require the
20 closing of the lane of traffic over the manhole itself
21 for which the splicing van would be located which
22 provides the materials for the splicing, but more
23 importantly provides the air filtration and humidity
24 controls such that the splicing has to be done in

HEARING RE: CL&P and UI
APRIL 20, 2004

1 basically a clean room atmosphere. So when I vary
2 between 10 and 14 days, some of that period may be -- it
3 may take us two days to dry out the manhole before or
4 that vault before splicing can actually commence.

5 ACTING CHAIRMAN TAIT: Brian.

6 MR. EMERICK: Yeah. Mr. Zak, just a point
7 of clarification. Is it just efficient to make it a 24-
8 hour a day operation or is it technically impossible to
9 break that up into segments?

10 MR. ZAKLUKIEWICZ: Virtually technically
11 impossible. You can stop the splicing, move the van out,
12 bring the van back in at some period thereafter. What
13 the risk is is that you now inject water vapor and
14 impurities into the splicing that has started and you
15 would then -- if that was the case where we had to break
16 down each day, you would probably take Mr. Gregory's
17 numbers and multiply the potential faults that we would
18 incur by maybe a factor of 10 or more because of the
19 probability of having a successful splice will be very
20 very small.

21 MR. EMERICK: Thank you --

22 MR. ZAKLUKIEWICZ: It's a continuous
23 operation.

24 ACTING CHAIRMAN TAIT: Fred.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. CUNLIFFE: If Mr. Gregory would just
2 verify the 10 fold factor in the fault rate if that were
3 the case in the disjointed splicing?

4 MR. GREGORY: I don't think I could be
5 that specific, a 10 fold increase. It would increase the
6 risk, yes.

7 ACTING CHAIRMAN TAIT: Significantly?

8 MR. GREGORY: Significantly --

9 ACTING CHAIRMAN TAIT: Thank you --

10 MR. GREGORY: -- both on electrical
11 disturbance and on overheating due to absorption of
12 moisture.

13 MR. ASHTON: The point really is you're
14 trying to make, I assume, Mr. Zaklukiewicz, is that once
15 you start this process in a clean environment, in a clean
16 room environment, like in an operating theatre in a
17 hospital, you don't want to go out for coffee breaks and
18 stop the procedure halfway through, you carry it forward
19 to completion, isn't that correct?

20 MR. ZAKLUKIEWICZ: That is correct. I
21 maybe exaggerated a little bit on the 10 and I may be
22 under on the 10 --

23 MR. ASHTON: We know you would never --

24 MR. ZAKLUKIEWICZ: -- and it may be

HEARING RE: CL&P and UI
APRIL 20, 2004

1 actually higher --

2 MR. ASHTON: We know you would never --

3 MR. ZAKLUKIEWICZ: -- significant is a
4 better description.

5 ACTING CHAIRMAN TAIT: Mr. Walsh.

6 MR. WALSH: Thank you. If any conflicts
7 existed or any problems arose, would it be possible to
8 make splices outside of the vault?

9 MR. ZAKLUKIEWICZ: No.

10 MR. WALSH: So if there was a dig-in or
11 any other problem with respect to the transmission line,
12 it would require a replacement of that section and re-
13 splicing in the vault, is that correct?

14 MR. ZAKLUKIEWICZ: If there was a dig-in
15 of the cable part way between two of the vaults --

16 MR. WALSH: Correct.

17 MR. ZAKLUKIEWICZ: -- a decision would
18 have to be made on whether I install a vault in the
19 location where the dig-in occurred or do I turn around
20 and repair the pipe and pull in new sections of cable
21 between the two existing vaults that are in place. That
22 decision would have to be made on a point-by-point basis
23 recognizing that if I'm fairly close to one end, I may
24 just want to do that and now have to splice in a very

HEARING RE: CL&P and UI
APRIL 20, 2004

1 short piece of cable as opposed to an entire length.

2 MR. ASHTON: And wouldn't that be
3 presumptive that there is damage to the cable itself? If
4 it was just a puncture leak in the pipe, couldn't you not
5 just splice or put a repair on the pipe itself --

6 MR. ZAKLUKIEWICZ: If only --

7 MR. ASHTON: -- and go back in business?

8 MR. ZAKLUKIEWICZ: If only the casing of
9 the pipe was broken and there was no fault of the cable,
10 then we would make repairs to the pipe and we would dig
11 in where the pipe has been breached, make the repairs to
12 the pipe, put the mastic coating back over for the
13 cathodic protection, and turn around and put the cable
14 back in service.

15 MR. WALSH: To the extent there was damage
16 to the cable, there's the possibility that in the future
17 there may be more vaults installed than as currently
18 planned during the initial installation, is that correct?

19 MR. ZAKLUKIEWICZ: I think we would work
20 with all the parties involved and come up with the most
21 expedient and least expensive repair that can be made,
22 recognizing all the other system conditions that have to
23 be taken into account.

24 MR. WALSH: But it would -- it would be a

HEARING RE: CL&P and UI
APRIL 20, 2004

1 possibility that additional vaults would be placed in the
2 highway right-of-way if, in fact, there was a break in
3 the cable, is that correct?

4 MR. ZAKLUKIEWICZ: Not necessarily. You
5 could always pull the cable, break the splices at the
6 vaults and pull in new cable between the two vault
7 sections.

8 MR. WALSH: Or you could put a new vault
9 in, correct?

10 MR. ZAKLUKIEWICZ: That would be an option
11 of which we would discuss with the State and the towns.

12 MR. WALSH: Thank you.

13 MR. ASHTON: Which is the more probable?
14 Let's assume for argument's sake that a pipe has been
15 severely gouged and penetrated the cable and shorted it
16 out at a given location, what would your best guess --
17 what do you think the odds are of putting in a new
18 splicing chamber or putting in -- pulling in a new piece
19 of cable and pipe -- repair the pipe? Mr. Williams, I
20 see you're itching.

21 MR. WILLIAMS: I used to do this type of
22 repair with Con-Edison --

23 MR. ASHTON: I understand.

24 MR. WILLIAMS: -- and so -- a buried

HEARING RE: CL&P and UI
APRIL 20, 2004

1 splice is not desired because you don't have the good
2 clean room conditions that you would have in a proper
3 vault, but if there is a situation as you described,
4 sometimes there's just not --

5 COURT REPORTER: Wait, excuse me --

6 MR. WILLIAMS: I'm sorry. If we have the
7 situation that you described, there may not be the
8 opportunity or the time to put in a proper vault. And it
9 is possible to put in plywood sheathing, plastic
10 sheathing on the inside of that, do your proper air
11 filtering and dehumidification and so forth, make a
12 splice and put a buried splice casing at that location.
13 Utilities such as Con-Ed that don't have much room in the
14 streets do that when they need to.

15 MR. WALSH: Thank you. With respect to
16 the installation, I believe that in your testimony there
17 was a number of these facilities that are being installed
18 around the country and around the world right now, 345-
19 kilovolt high pressure fluid filled pipelines, is that
20 correct?

21 MR. ZAKLUKIEWICZ: That is correct, but
22 I'll address those questions to Mr. Gregory.

23 MR. GREGORY: Could you repeat the
24 question, I don't think it is correct.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. WALSH: My question is whether or not
2 there are a number of other 345-kV high pressure fluid
3 filled transmission lines being constructed or in the
4 planning stages around the United States at this point in
5 time?

6 MR. GREGORY: Oh, the U.S.A., I thought
7 you said around the world.

8 MR. WALSH: I changed the question
9 slightly -- (laughter).

10 MR. GREGORY: I'm traveling quickly here,
11 mentally. Well, I'm going to pass that over to Jay
12 Williams -- (laughter) -- because I'm not aware of any --
13 and incidentally, around the world the answer is no.

14 MR. WILLIAMS: I get the parochial
15 questions I guess. The answer probably is explained
16 right there on the end of that table where the sample --
17 if you got a chance to look -- was February 2004, that's
18 from a Commonwealth Edison project that is currently
19 underway. So there is at least one other one, 345-kV
20 pipe type currently underway, and others perhaps as well.

21 MR. ASHTON: Did we mention the Boston --

22 A VOICE: Right --

23 MR. ASHTON: -- project?

24 MR. WILLIAMS: Yes --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. ZAKLUKIEWICZ: That is in siting at
2 this time. It's just being presented --

3 ACTING CHAIRMAN TAIT: Mr. Williams, could
4 you just --

5 MR. ZAKLUKIEWICZ: -- to the siting
6 council at the end of the year in Massachusetts.

7 ACTING CHAIRMAN TAIT: Could you describe
8 the Con-Edison proposal you're aware of?

9 A VOICE: The common --

10 MR. ASHTON: The Commonwealth --

11 ACTING CHAIRMAN TAIT: Commonwealth
12 Edison, the one you just mentioned that you know of.

13 MR. WILLIAMS: I will confess to only
14 having known about it for about the past half-hour after
15 inquiring where that sample came from, so I don't know --
16 I don't know details. I know that within the last couple
17 of years Commonwealth Edison has installed --

18 ACTING CHAIRMAN TAIT: Can we leave this
19 as a homework assignment --

20 MR. WILLIAMS: Sure --

21 ACTING CHAIRMAN TAIT: -- to get us more
22 information on that. Mr. Walsh.

23 MR. WALSH: Thank you. With respect to
24 procurement of materials for this installation, is there

HEARING RE: CL&P and UI
APRIL 20, 2004

1 significant lead time necessary to procure the materials
2 to construct this 345-kV HPPF transmission line?

3 MR. ZAKLUKIEWICZ: Yes.

4 MR. WALSH: Could you elaborate upon what
5 the timeframes are with respect to procuring those
6 materials?

7 MR. ZAKLUKIEWICZ: We would go out for a
8 request for a proposal form to a number of different
9 entities, which are typically combined cable
10 manufacturers and construction companies for which the
11 selected bidder then would commence the design and the
12 construction of the cable. And the cable which is
13 manufactured would be delivered to the site in the exact
14 lengths required between manholes, so it would combine
15 with the engineering that is being done in the field. In
16 other words, if you were doing an 8-mile project between
17 East Devon and Singer, then the engineering would have to
18 be done beforehand such that the exact cable lengths
19 would agree upon the cables -- the distance between the
20 vaults and agree with the schedule for construction such
21 that they both line up. And manufacturing of additional
22 cable for that same 8-mile section would continue while
23 the portions of the manufactured cable are being
24 delivered and actually physically installed. So it would

HEARING RE: CL&P and UI
APRIL 20, 2004

1 be an ongoing process. It's not one where you wait for
2 all eight miles of the cable to be constructed.

3 MR. WALSH: Do you know what the -- is
4 there currently a lead time on the manufacturing of the
5 cable?

6 MR. WILLIAMS: Yes. The lead time for
7 cable of this type typically runs about six months.

8 MR. WALSH: About six months?

9 MR. WILLIAMS: Yes.

10 MR. ASHTON: Mr. Zaklukiewicz, if I could
11 pick up a question from that line of interrogatory, let's
12 assume that the system is installed and operational,
13 what, if any, spare materials would UI and NU hold to
14 cover the possibility of a major fault/dig-in?

15 MR. ZAKLUKIEWICZ: For this -- for this
16 length of cable, the total distance from East Devon to
17 Singer, Singer to Norwalk, we would probably have two
18 sections of cable to cover the longest length between
19 manholes or vaults, such that for any failures we would
20 have cable on hand and available to make repairs.

21 MR. ASHTON: So is it fair to say that
22 lead time is not an issue in the event of a fault in the
23 cable --

24 MR. ZAKLUKIEWICZ: Lead time --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. ASHTON: -- a fault repair?

2 MR. ZAKLUKIEWICZ: -- should not be a
3 problem for a fault on the cable.

4 MR. ASHTON: Thank you.

5 MR. WALSH: And with regard to any repairs
6 that need to be made, what would be the steps necessary
7 to replace the cable in a pipe that's already in the
8 ground?

9 MR. FITZGERALD: Didn't we just cover
10 that?

11 MR. WALSH: I believe we discussed whether
12 or not there was a break and whether or not a vault would
13 be necessary, but I'm not sure that we went into the
14 specifics of --

15 MR. ZAKLUKIEWICZ: First --

16 MR. WALSH: -- reloading a new cable into
17 the pipe and what that would entail.

18 MR. ZAKLUKIEWICZ: Rich, do you want to go
19 through that?

20 MR. REED: Sure. Again depending on what
21 the fault was, but if we take the assumption that we pull
22 in new cable, certainly we'd take the time to find the
23 fault, which could be --

24 ACTING CHAIRMAN TAIT: How long does that

HEARING RE: CL&P and UI
APRIL 20, 2004

1 take or what are the parameters? How quickly or how long
2 might it take to find the fault?

3 MR. REED: If we -- sometimes there are --
4 it becomes obvious, we do have relaying that can kind of
5 point to about a distance away from a substation how long
6 the fault is. We would certainly hope to find the fault
7 within, you know, six to eight hours. We haven't had
8 anything longer than that. I don't know if Roger has on
9 the NU system. But we can usually find it fairly
10 quickly.

11 MR. ASHTON: If it's a dig-in, how long
12 does it take you to find it?

13 MR. REED: We know where it is when it's a
14 dig-in. (Laughter). So again, once we found out where
15 the fault was, whether it was by dig-in or the cable
16 itself actually faulted, we would have to make some
17 judgment calls, as Roger had said is do we put a splice
18 chamber over the existing or do we try to repair the pipe
19 the pull out the old cable and pull in a new cable.
20 Sometimes when you have a fault, the old cable may not be
21 able to be pulled out, so you might have to do something
22 right there. Again, within that time, you could be
23 talking days. The splices at either end, again if it's a
24 three-phase splice, we're talking about five to seven

HEARING RE: CL&P and UI
APRIL 20, 2004

1 days for each splice. So it could be a considerable
2 amount of time.

3 ACTING CHAIRMAN TAIT: The worse case
4 scenario?

5 MR. REED: I -- I'm going to ask for some
6 help from the Con-Ed folks because they've had more
7 failures than we've had -- (laughter) -- or the ex-Con-Ed
8 folks. So, I'm going to ask Jay if he wouldn't mind
9 making a response to that.

10 MR. WILLIAMS: The time that Con-Ed states
11 an answer to that is about 30 days from the initial
12 tripping of the line until it is back in service,
13 including all the steps that Mr. Reed described. This
14 would be for a major incident as opposed to a single
15 splice; in other words, maybe a quarter of that line.

16 MR. ASHTON: Mr. Reed, you said that in
17 the event of a fault, you may not be able to pull the
18 cable out. Could you elaborate and explain please?

19 MR. REED: Depending on how bad the fault
20 is, the cable may have actually welded itself to the
21 pipe.

22 MR. ASHTON: In that case would it not be
23 possible to cut out a piece of the pipe and then the
24 cable comes loose, the bad section of pipe comes out, you

HEARING RE: CL&P and UI
APRIL 20, 2004

1 put a new piece of pipe in and now you've got a clean
2 duct again?

3 MR. REED: It could be. Again it depends.
4 Again, we have to make a judgment call as to, you know,
5 how bad is the fault, how much cable do we actually have
6 to fix. At times it may be actually better to try to
7 pull a new cable in, but it's going to depend on how bad
8 the fault is and what the damage is --

9 MR. ASHTON: Thank you --

10 MR. REED: -- there are a number of
11 different scenarios.

12 MR. EDWARD S. WILENSKY: With a fault,
13 when you have that fault, what happens with the power
14 that's flowing through that line, through that cable? I
15 mean are you down in power for X amount of time or --

16 MR. REED: That cable would be de-
17 energized almost instantaneously within cycles. If we
18 had a fault, the relaying would take that circuit out of
19 service within cycles.

20 MR. WILENSKY: And so then, therefore,
21 there would be no power flowing through there and then
22 power would be down to the area that that is going to, is
23 that -- what happens there with the power?

24 MR. ZAKLUKIEWICZ: One half of the circuit

HEARING RE: CL&P and UI
APRIL 20, 2004

1 -- one of the two cables would be permanently removed
2 from service, Mr. Wilensky, until the repairs are totally
3 made. And you -- you actually pull in new cable, you've
4 got to pull back cable, you've got to refill it with the
5 insulated fluid, and then you test energize it. So for
6 that 30 days you would be relying on the second good
7 cable to carry the load into the area, which may mean in
8 our case that you would -- dependent on the time of the
9 year and what is the magnitude of the load, you would end
10 up in a case where you would have to run generation maybe
11 out of rate that would not be running because the load
12 and the capability of the transmission system exceeds the
13 combination of the generation that has bid in
14 economically in the transport capability of the system.

15 In our case where we're talking about the
16 Middletown to Norwalk project being part of the loop, it
17 is our -- our feeling that when we lose one portion of
18 the loop, the power now will go around the system and
19 come back in the alternate route, and that is the basis
20 for installing the loop to begin with, so where typically
21 we would have the majority of the power flowing on the
22 Middletown to Norwalk lines. And in our testimony in 217
23 docket, we said those lines because Long Mountain and
24 Plumtree are relatively weak, we would not expect to see

HEARING RE: CL&P and UI
APRIL 20, 2004

1 heavy flows on those lines except in those timeframes
2 when we had say the loop open between Middletown and
3 Norwalk, now the power will flow from the eastern part of
4 the State through the 345-kV overhead systems from Besek
5 to Southington to Frost Bridge to Long Mountain to
6 Plumtree down into the Norwalk area on those 345-kV
7 lines, which are typically not heavily loaded, to make up
8 the difference. There would still be flow on the
9 Middletown to Norwalk, the single cable section, just as
10 there was before but we would inject reactors into the
11 line to minimize the amount of flow such that we do not
12 overload the remaining cable with the second cable out of
13 service while repairs are being made.

14 MR. WILENSKY: Thank you for that
15 explanation, I appreciate it. Thank you.

16 ACTING CHAIRMAN TAIT: Mr. Walsh --

17 MR. O'NEILL: Uh --

18 ACTING CHAIRMAN TAIT: Oh, I'm sorry --

19 MR. O'NEILL: May I ask a question, Mr.
20 Chairman?

21 ACTING CHAIRMAN TAIT: Yes.

22 MR. O'NEILL: Does the proposed
23 installation incorporate the same degree of redundancy
24 and design as the Con-Ed model for underground cabling?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. WILLIAMS: Con-Ed routinely installs a
2 pair of cables in a common trench just for that reason,
3 so that there will not be a major disruption of power if
4 one of the lines fails. Yes, that's quite common.

5 MR. O'NEILL: Thank you.

6 MR. WALSH: With respect to that -- with
7 respect to the possibility of a fault, it's your
8 testimony that we could expect a fault on the system I
9 believe it's once every four years, is that correct?

10 MR. PRETE: I believe -- if you're
11 referring to the data that was presented in Docket 217 by
12 Mr. Gregory, which is a half a fault every hundred miles
13 per year, that would equate to what number you've just
14 given, which would be --

15 MR. WALSH: Well on page 27 of the
16 testimony, it does state that based upon the fault
17 history, that we could expect one fault every four years
18 --

19 MR. PRETE: I was just giving you --

20 MR. WALSH: -- based on this docket.

21 MR. PRETE: I was just giving you some
22 background --

23 MR. WALSH: Correct --

24 MR. PRETE: -- on where that number came -

HEARING RE: CL&P and UI
APRIL 20, 2004

1 -

2 MR. WALSH: Correct. But is that a
3 correct -- is that correct that it's one every four
4 years?

5 MR. PRETE: Yes.

6 MR. WALSH: Thank you. And that means
7 that it could be up to 30 days that it would take to
8 repair this fault, the worse case scenario, so I've
9 heard, correct?

10 MR. ZAKLUKIEWICZ: That is correct.

11 MR. WALSH: Thank you. With respect to
12 the fluidized thermal backfill, I'd like to discuss that.
13 Is there a difference between the thermal sand and the
14 fluidized thermal backfill that's discussed in some of
15 the application materials?

16 MR. WILLIAMS: Yes. They are -- they are
17 different materials. I described the fluidized thermal
18 backfill earlier as a very weak mixed concrete with a
19 definite aggregate size. The thermal sand is -- does not
20 have cement in it. It is sand of definite gradation of
21 particle sizes and fines. And it -- actually when it is
22 compacted, it compacts to be just about as hard as the
23 fluidized thermal backfill, but they are different
24 materials.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. WALSH: And what -- what are the
2 properties that either the thermal sand or the fluidized
3 thermal backfill have that make it desirable for use in
4 this type of facility?

5 MR. WILLIAMS: The definition of one of
6 these thermally controlled backfills is that it maintains
7 a very good thermal conductivity even under high heat
8 load from the cables. So that's why we specify these
9 thermal backfills.

10 MR. ZAKLUKIEWICZ: If I may, Mr. Walsh?
11 The other reason to use the thermal backfill, the weak
12 mortar mix is -- our sense is we can minimize the amount
13 of time it takes to cover the HPFF pipes without having
14 to place sand, compact it, place more sand, compact it.
15 By having the equivalent of cement trucks there, you
16 actually pour and there's no compacting involved. And
17 our reestablishing the roadbed quicker is one of the
18 reasons we would go in some cases to the more expensive
19 thermal backfill.

20 MR. WALSH: Is it my understanding that
21 the primary purpose for using it though is to conduct the
22 heat away from the transmission line, correct?

23 MR. ZAKLUKIEWICZ: That is correct.

24 MR. WALSH: Is there any porosity or

HEARING RE: CL&P and UI
APRIL 20, 2004

1 anything that would allow infiltration by water into this
2 thermal sand or fluidized thermal backfill that makes it
3 a desirable material to use in construction of the
4 transmission line?

5 MR. WILLIAMS: Could you repeat the first
6 part of that please?

7 MR. WALSH: Is there a certain amount of
8 porosity in either the thermal sand or the fluidized
9 thermal backfill that would allow for infiltration of
10 water to help dissipate the heat as a way to help keep
11 the transmission line cool?

12 MR. WILLIAMS: There is very slow
13 penetration of moisture vapor both into and out of the
14 fluidized thermal backfill. It's designed mainly to keep
15 the moisture in. If it dries, it will re-wet, but it
16 will re-wet slowly.

17 MR. WALSH: Do --

18 A VOICE: Did you say fluidized?

19 MR. WILLIAMS: Yes. Fluidized, yes.

20 MR. WALSH: Do you know what some of the
21 constituents are of the fluidized thermal backfill?

22 MR. WILLIAMS: Yes.

23 MR. WALSH: Could you please describe them
24 for us?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. WILLIAMS: Sure. I don't know by
2 percentages, but there is stone aggregate of a given
3 size; there is a small amount of cement to give it the
4 small strength we mentioned that it has; sand; a
5 fluidizer, which is commonly fly ash; and then water.

6 MR. WALSH: You said there's fly ash in
7 there?

8 MR. WILLIAMS: Yes.

9 MR. WALSH: And is that from coal ash,
10 from a -- what would be the source of that material, do
11 you know?

12 MR. WILLIAMS: I don't know. It's
13 provided by the ready mix suppliers. I don't know what
14 their source is.

15 MR. WALSH: Do you know if there are any
16 environmental issues with the use of coal ash or fly ash
17 in a material of this type?

18 MR. WILLIAMS: The fluidized thermal
19 backfill that I described is used around the country. I
20 don't know of any objections to it for environmental
21 reasons. It's basically a concrete. The fly ash is a
22 very small percentage just to make it flow more easily.

23 MR. WALSH: Can you discuss the structural
24 characteristics of the fluidized thermal backfill? I

HEARING RE: CL&P and UI
APRIL 20, 2004

1 believe you said it was a 100 -- I'm sorry -- 100 psi was
2 that correct?

3 MR. WILLIAMS: Yes.

4 MR. WALSH: Is that going to have a
5 deleterious effect upon the traveled portion of the
6 roadway being that it will be sitting underneath the area
7 where the cars are going to be traveling?

8 MR. WILLIAMS: It's not my expertise, but
9 I understand that that is greater strength than the soil
10 that would have been removed from the trench.

11 MR. WALSH: Does anybody have any
12 expertise on the panel on that issue with regard to the
13 fluidized thermal backfill and the effect upon the
14 structure of the roadway?

15 MR. ZAKLUKIEWICZ: I think in our
16 discussions with the DOT, we agreed that we would go over
17 the properties of the thermal backfill with the DOT to
18 ensure that they are satisfied with what we are using,
19 and we would make changes to the requirements of the
20 thermal backfill to meet the requirements of the DOT 100
21 percent --

22 MR. WALSH: So --

23 MR. ZAKLUKIEWICZ: -- so what is typically
24 installed, we may modify to meet the requirements of the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Connecticut DOT in the installations of the thermal fill.

2 MR. WALSH: If there was a conflict
3 between what the DOT required for a road base versus what
4 is required for thermal properties of the fluidized
5 thermal backfill, would the Applicant still cede to the
6 DOT's wishes in placing the DOT required filled material
7 into the roadbed?

8 MR. ZAKLUKIEWICZ: I'm confident that
9 between ourselves and the DOT, we will come to an
10 agreement of what we need to use to accommodate both
11 needs. It may mean that we need to widen a little bit to
12 trench because the properties of the thermal backfill are
13 not what we would like, so therefore you need to make up
14 for that heat dissipation with volume. And that would be
15 one of the compromises we would have to make if we're
16 moved in that direction. But I feel comfortable, as Rich
17 Reed as indicated, that we will come to agreement with C-
18 DOT, and I do not foresee that to be an issue.

19 MR. ASHTON: Mr. Gregory, if I could,
20 dissipation of heat from a cable system, in a HPFF or a
21 self-contained, or whatever, is not a U.S. problem, this
22 is an international problem with high voltage cables --
23 with cables. Are you aware anywhere in the world that
24 the choice of thermal backfill has proven a problem?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. GREGORY: No, I know of no problem.
2 It's extensively used around the world.

3 MR. ASHTON: Thank you.

4 MR. PRETE: Mr. Walsh, I would add as well
5 that the cables that I had referred to earlier in my
6 testimony, in the 90's the Grand Gulf cable, we actually
7 met with C-DOT and they had no problem with the
8 thermalized backfill, which is exactly the same backfill
9 we're proposing here for the lines that were put across
10 and along some of the state roads.

11 MR. O'NEILL: Mr. Reed, I believe this
12 question would be for you -- I'm sure I'll be redirected
13 if it's not -- (laughter) -- the Federal Highway
14 Administration or the Federal Department of
15 Transportation must have some sort of guidelines for best
16 management practices for installation of utilities under
17 roadbeds, do they not?

18 MR. PRETE: Yes, sir.

19 MR. O'NEILL: Are they a matter of record
20 here?

21 MR. PRETE: I don't believe they would be.

22 MR. O'NEILL: If they're not -- (pause) --

23 ACTING CHAIRMAN TAIT: As far as you know
24 do they -- do you comply with those guidelines?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. PRETE: Absolutely. As we said before
2 -- Mr. Ashton pointed out a couple of times up side each
3 of my head, this is no different than the many miles and
4 miles of duct bank and other electrical lines that we
5 have in state roads and have had over the last 30 years.
6 So it's essentially the same.

7 MR. O'NEILL: Thank you.

8 MR. PRETE: You're welcome.

9 MR. WALSH: With respect to that question,
10 I believe -- are you referring to distribution lines that
11 are in state highways?

12 MR. PRETE: Yes.

13 MR. WALSH: What is the cost of the
14 installation of a distribution line compared to the cost
15 of installation of this facility?

16 MR. PRETE: I'm not sure I have those
17 numbers at my fingertips. I don't know if Rich does --

18 MR. REED: No, I -- I don't, but we could
19 -- we could get those.

20 ACTING CHAIRMAN TAIT: Order of magnitude?

21 MR. REED: We will try to get you an order
22 of magnitude before the day is out.

23 ACTING CHAIRMAN TAIT: Thank you.

24 MR. PRETE: We would get those as

HEARING RE: CL&P and UI
APRIL 20, 2004

1 construction -- orders of magnitude of construction of
2 the system itself.

3 ACTING CHAIRMAN TAIT: I'm trying to get -
4 -

5 MR. WALSH: I'm trying to get a handle on
6 what the difference is -- you're saying that this is no
7 different than anything else that's been done in the past
8 and I'm trying to get an understanding as to what your
9 costs are with respect to a distribution line in a state
10 highway versus the cost of this proposed facility for a
11 similar length of section.

12 MR. PRETE: Okay.

13 MR. WALSH: What is the volume of material
14 that is going to be removed to accommodate this facility
15 over the course of the 24-mile stretch that is going to
16 be placed underground?

17 MR. ZAKLUKIEWICZ: I do not believe we've
18 calculated that, recognizing that there are different
19 depths at which you will have to be at. And not having
20 the Siting Council tell us that we're going to be at
21 three foot from the top of the pipes or four foot or five
22 foot is going to make all the difference in the world
23 over the volume.

24 MR. WALSH: Well assuming that we're going

HEARING RE: CL&P and UI
APRIL 20, 2004

1 to have the dimensions that were described earlier by one
2 of the witnesses where I believe they discussed what the
3 size of the duct was with regard to the high pressure
4 fluid filled, if there is some calculations with regard
5 to the volume of material that's going to be excavated
6 out of the highway right-of-way, if somebody could give
7 me an estimate as far as per linear foot?

8 MR. PRETE: The envelop of construction I
9 believe you're referring to is 5-foot by 4-foot, which
10 would be 20-foot, so --

11 MR. WALSH: So it would be 20 -- 20 cubic
12 feet of material per --

13 MR. PRETE: Per foot --

14 MR. WALSH: -- per foot --

15 MR. PRETE: Right --

16 MR. WALSH: -- per linear foot --

17 MR. PRETE: Right --

18 MR. WALSH: -- over a 24-mile section?

19 MR. PRETE: That's correct.

20 MR. WALSH: And what is the proposal for
21 disposing of that material?

22 MR. ZAKLUKIEWICZ: The contract for which
23 we would let the RFP out is that would be the
24 responsibility of the contractor performing the work. We

HEARING RE: CL&P and UI
APRIL 20, 2004

1 know in certain towns that they have asked for clean
2 fill, and we would -- we would dispose of it not on any
3 properties owned by C-DOT or the State of Connecticut,
4 that would be a requirement of Northeast Utilities and UI
5 to dispose of that material properly.

6 MR. WALSH: So -- so the Applicants would
7 be disposing of any and all excavated materials as part
8 of the project, is that correct?

9 MR. ZAKLUKIEWICZ: That is correct. And
10 we would be doing testing of that material also.

11 MR. ASHTON: Mr. --

12 MR. WALSH: So if -- if --

13 MR. ASHTON: Excuse me, if I may. Mr.
14 Zak, has the company -- either UI or NU had any
15 experience with where they installed a cable facility of
16 any voltage and found that the material that they were
17 penetrating was in fact -- didn't meet the standards as
18 thermal -- high thermal conductivity?

19 MR. PRETE: Speaking for UI, that was not
20 the case, it didn't meet the characteristics of what Mr.
21 Williams describes as a thermal backfill --

22 MR. ASHTON: Okay --

23 MR. PRETE: -- but of course what goes on
24 the thermal backfill was indeed reused.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. ASHTON: Go ahead.

2 MR. WALSH: Thank you. You said the
3 material would be tested before it was shipped off-site I
4 believe. If material was found to be contaminated, would
5 the Applicants then use a proper disposal site in order
6 to take care of that contaminated material?

7 MR. ZAKLUKIEWICZ: The answer to that is
8 yes.

9 MR. WALSH: And would the Applicants be
10 the ones that bear the cost of disposal of that
11 contaminated material?

12 MR. ZAKLUKIEWICZ: I think that -- that
13 issue is negotiable.

14 MR. WALSH: Is that a no that the
15 Applicants would not be 100 percent --

16 MR. ZAKLUKIEWICZ: I am -- I am not
17 committing that Northeast Utilities digging in a street
18 is going to accept ownership of all materials in the
19 subsurface below the --

20 MR. WALSH: I believe earlier you
21 testified that this was going to be a project that was
22 beneficial to Northeast Utilities and that the only
23 benefit to the State of Connecticut was that we'd be able
24 to keep the lights on on our highways. Being that is the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 case, what is the benefit to the Department of
2 Transportation in having to dispose of contaminated soils
3 that are being excavated solely for the benefit of the
4 Applicants in this matter?

5 MR. ZAKLUKIEWICZ: Well, I'd like to say
6 besides keeping the lights on, I think we use a lot of
7 power keeping the railroads running, and we move some
8 hundred odd thousand people --

9 ACTING CHAIRMAN TAIT: Why don't you
10 simplify that question and get to the nuts of what you're
11 --

12 MR. WALSH: The bottom line is, is there
13 some reason why the Department of Transportation should
14 bear the cost of disposing of contaminated materials that
15 are being excavated solely for a project --

16 ACTING CHAIRMAN TAIT: Don't load that
17 question, just ask -- I'm not even sure I've heard
18 testimony that you would be required to pay for it. Ask
19 that question.

20 MR. WALSH: Are --

21 ACTING CHAIRMAN TAIT: If you find --

22 MR. WALSH: If you find --

23 A VOICE: (Indiscernible) -- lease
24 agreement --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 ACTING CHAIRMAN TAIT: Mr. Zak, if you
2 find in excavation that there's contaminated materials,
3 what do you propose to do with them?

4 MR. ZAKLUKIEWICZ: We --

5 ACTING CHAIRMAN TAIT: And who is going to
6 pay for the disposal?

7 MR. ZAKLUKIEWICZ: No. 1 -- I can answer
8 the first part of it, in that we would take any
9 contaminated material, store it properly and dispose of
10 it properly. Secondly, I'm assuming there would be
11 discussions going on as to who owned the material to
12 begin with and who should pay for the total disposal
13 costs.

14 ACTING CHAIRMAN TAIT: And that might
15 involve DEP and all --

16 MR. ZAKLUKIEWICZ: That could involve the
17 DEP, that could involve the towns --

18 ACTING CHAIRMAN TAIT: CERCLA and all the
19 rest of --

20 MR. ZAKLUKIEWICZ: -- that could involve
21 some of the --

22 ACTING CHAIRMAN TAIT: To assess the
23 responsibility --

24 MR. ZAKLUKIEWICZ: -- industries that were

HEARING RE: CL&P and UI
APRIL 20, 2004

1 located previously alongside the roadway who were
2 responsible for the contamination to begin with.

3 ACTING CHAIRMAN TAIT: And they might
4 contribute to the cost of doing that and it might be a
5 shared cost and it might be -- it's unknown at this
6 point?

7 MR. ZAKLUKIEWICZ: In this hypothetical
8 question, the answer would be that would be yes.

9 MR. HEFFERNAN: Just -- a question of the
10 Applicant. I keep on hearing that if there's some kind
11 of conflict between the Applicant and C-DOT, that we can
12 work it out. And the question to me becomes does that
13 include finances whereby DOT -- and it becomes obvious
14 that DOT has to incur some extra costs because this line
15 is there placed where it is that they wouldn't have had
16 to incur if the line wasn't there, or does the Applicant
17 say, hey, wait a minute, just take a look at the statute
18 and this is what the deal is. I mean do you -- do you
19 work out the finances if --

20 MR. ZAKLUKIEWICZ: I think we have been
21 trying with the C-DOT to come up with a co-location
22 agreement that will address many of the questions being
23 raised here. And we are waiting at this time for C-DOT
24 to give us a draft of that co-location agreement.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 COURT REPORTER: One moment please.

2 (Pause). Thank you.

3 ACTING CHAIRMAN TAIT: Mr. Ashton.

4 MR. EMERICK: Mr. Chairman --

5 MR. ASHTON: Mr. Prete and Mr.

6 Zaklukiewicz, are you aware of any instance where you
7 have been unable to reach agreement with Conn-DOT on
8 costs of work where you have a mutual interface that have
9 resulted in any litigation?

10 MR. PRETE: I am not aware of any.

11 MR. ASHTON: Mr. Zak?

12 MR. ZAKLUKIEWICZ: I am not aware of any.

13 MR. ASHTON: Thank you.

14 ACTING CHAIRMAN TAIT: Brian.

15 MR. EMERICK: Yeah, a question on costs in
16 terms of handling contaminated materials. Given the fact
17 that your proposal was based on at least cost
18 considerations of looking at A and B versus the proposed
19 route and given the fact that we have, and I kind of
20 thumbed it out, two and a half million yards of material
21 that would -- or cubic feet of material that we're going
22 to be removing here along a highway, an urbanized area, a
23 lot of gas stations, etcetera, and I would think there's
24 a fair probability that we're going to be hitting

HEARING RE: CL&P and UI
APRIL 20, 2004

1 contaminated material along some portion of that route,
2 that the handling of contaminated materials can be very
3 costly. And I was wondering in your cost factor of the
4 project, whether the handling of those materials at all
5 figured into the project budget?

6 MS. BARTOSEWICZ: Yes, they're in the cost
7 estimate for the underground route. There's a 20 percent
8 cost value for handling of contaminated soils.

9 MR. EMERICK: Twenty percent of what?

10 MS. BARTOSEWICZ: Of the total amount of
11 cubic yards that we just talked about earlier.

12 ACTING CHAIRMAN TAIT: You're assuming 20
13 percent will be contaminated?

14 MS. BARTOSEWICZ: Correct. In our
15 estimate that's the assumption.

16 ACTING CHAIRMAN TAIT: And you've also
17 included the estimate of what it cost to dispose of that?

18 MS. BARTOSEWICZ: Correct.

19 ACTING CHAIRMAN TAIT: As if you were
20 going to pay 100 percent of it?

21 MR. PRETE: Yeah, I would -- I would
22 clarify what Ann was saying, is that the 20 percent is
23 for a number of contingencies of which the contaminated
24 soil would be one of them.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 ACTING CHAIRMAN TAIT: Okay.

2 MR. EMERICK: And what is the dollar
3 amount attached to the 20 percent?

4 MR. PRETE: It would be the 20 percent of
5 about 177 million of direct dollars associated with the
6 underground transmission line.

7 MR. EMERICK: So it's 34 million?

8 MR. PRETE: Plus or minus.

9 MR. EMERICK: Okay, thank you.

10 ACTING CHAIRMAN TAIT: And in that figure
11 is the disposal of this contaminated material --

12 MR. ZAKLUKIEWICZ: That is --

13 ACTING CHAIRMAN TAIT: -- as if you would
14 be wholly responsible for --

15 MR. ZAKLUKIEWICZ: That is correct. And
16 recognize there's a wide range of disposing of
17 contaminated material; is it -- is it from a gas station
18 or do we have asbestos, or something else from --

19 ACTING CHAIRMAN TAIT: But the assumption
20 is --

21 MR. ZAKLUKIEWICZ: -- or some of the more
22 hazardous materials.

23 ACTING CHAIRMAN TAIT: In your estimates
24 right now the assumption is that you would bear the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 entire cost, where in actuality you may have
2 contributions or other people who would pay for the cost
3 who were responsible for it --

4 MR. ZAKLUKIEWICZ: Yes --

5 ACTING CHAIRMAN TAIT: -- is that correct?

6 MR. PRETE: Yes.

7 MR. EMERICK: Mr. Chairman.

8 ACTING CHAIRMAN TAIT: Yes.

9 MR. EMERICK: Just to follow up, we've
10 heard a lot of experience from UI in terms of their
11 implementation of various under-grounding projects. I
12 assume that some of those projects have led to the
13 discovery and excavation of contaminated material. Is
14 that true?

15 MR. REED: Yes, we have found contaminated
16 material in some of the projects that we've worked on,
17 and we have taken proper care of it and disposed of it
18 properly.

19 MR. EMERICK: And how were the costs on
20 those particular cases handled?

21 MR. REED: We have handled those costs.

22 MR. EMERICK: So why is this case
23 different?

24 MR. REED: This is a wide -- not

HEARING RE: CL&P and UI
APRIL 20, 2004

1 necessarily just dealing with the State, it's a multitude
2 of projects that we've --

3 MR. EMERICK: Well on state roadways where
4 you've had other projects, excavation of contaminated
5 materials, what's been the fate of the material and how
6 were the costs recovered or paid for?

7 MR. REED: I can't come up with an example
8 on a state road that we've done this.

9 ACTING CHAIRMAN TAIT: How about Mr. Zak,
10 have you had --

11 MR. ZAKLUKIEWICZ: CL&P has very few
12 transmission cables on state roads, so I've been allowing
13 UI to respond. So basically, the majority of ours are in
14 streets, in city owned and town streets.

15 ACTING CHAIRMAN TAIT: But in distribution
16 you're going to still be digging up contaminated
17 materials?

18 MR. REED: Possibly.

19 MR. ZAKLUKIEWICZ: Yes -- yes, we --

20 ACTING CHAIRMAN TAIT: And how did you
21 handle those, both UI and then CL&P?

22 MR. REED: In general, we have taken care
23 of the disposal of the materials when we've been digging
24 in city streets and have found it.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 ACTING CHAIRMAN TAIT: And you've assumed
2 the cost of disposal?

3 MR. REED: Yes, we have.

4 ACTING CHAIRMAN TAIT: Okay.

5 MR. EMERICK: Mr. Chairman --

6 ACTING CHAIRMAN TAIT: CL&P?

7 MR. ZAKLUKIEWICZ: And I believe that's --
8 that's the case. I believe, upon check, Mr. Tait, that
9 that has been the case for the distribution also.

10 ACTING CHAIRMAN TAIT: Okay.

11 MR. EMERICK: Chair -- Mr. Tait. Could
12 you just check your -- I mean I'm sitting here a bit
13 wondering whether you haven't had an excavation project
14 in a state roadway in your service area that hasn't
15 resulted in contaminated material and how you've handled
16 it, and I think you're saying you can't think of any.
17 And I'm just -- I guess I'm not sure how many route miles
18 there are of state highway in your service area, but I
19 would think there's got to be cases there.

20 MR. REED: Well, there's quite a bit of
21 state highway in the UI territory, not as much as in NU,
22 but there's quite a bit. I just don't recall a case with
23 an underground distribution line where we have had to
24 take materials out that were contaminated. That doesn't

HEARING RE: CL&P and UI
APRIL 20, 2004

1 mean it hasn't happened. I just -- I just don't recall
2 any.

3 MR. EMERICK: Well, could you check with
4 some of your cohorts --

5 MR. REED: Yes -- yes, we will --

6 MR. EMERICK: -- and see if, in fact,
7 that's happened, and how was the cost issue handled?

8 MR. REED: Yes, we will.

9 MR. EMERICK: Thank you.

10 ACTING CHAIRMAN TAIT: Mr. Zak --

11 A VOICE: Jerry has a question --

12 ACTING CHAIRMAN TAIT: -- Mr. Ashton --
13 how about gas lines -- I know you don't have gas lines,
14 but NU has gas lines. You might inquire have they had
15 that same problem with excavation.

16 MR. ZAKLUKIEWICZ: I will inquire of Mr.
17 Welch at Yankee Gas.

18 ACTING CHAIRMAN TAIT: Thank you. Jerry -
19 -

20 MS. BARTOSEWICZ: I would like to clarify
21 so that we understand the cost in the estimate. There's
22 \$424,000.00 in the underground estimate for disposal of
23 contaminated material. It is 20 percent of the total
24 amount of excavation that would be in the underground

HEARING RE: CL&P and UI
APRIL 20, 2004

1 project.

2 MR. ASHTON: Four hundred thousand?

3 MS. BARTOSEWICZ: Yes, in the estimate.

4 ACTING CHAIRMAN TAIT: That you think it
5 will cost you to dispose of contaminated materials?

6 MS. BARTOSEWICZ: Of 20 percent of the
7 total amount of excavated material.

8 ACTING CHAIRMAN TAIT: Which will be
9 contaminated, that's the cost of disposing of it?

10 MS. BARTOSEWICZ: That's the cost in the
11 estimate.

12 ACTING CHAIRMAN TAIT: Yeah. Jerry --

13 MR. REED: I have been told of one
14 instance in which we did work with the State in agreement
15 about removing contaminated soils. It was the Forbes
16 Avenue Bridge in New Haven where the State agreed to
17 remove and dispose of the spoils so that we could get
18 going on the project. The State did remove it at their
19 cost. That's just one example that we have. I will find
20 others if they exist.

21 MR. EMERICK: Is that a relocation spawned
22 by another state project or was that --

23 MR. REED: It was the rebuilding of the
24 Tomlinson Bridge in New Haven and we had distribution

HEARING RE: CL&P and UI
APRIL 20, 2004

1 cables that were in the way of the new bridge. And the
2 State agreed to remove all the contaminated soils
3 themselves, we did not have to do that.

4 MR. EMERICK: I think probably a better
5 example is if you have any examples where you're either
6 installing or relocating a utility that you've initiated
7 as opposed to the State asking you to do for their needs.

8 MR. REED: Okay.

9 MR. ZAKLUKIEWICZ: We will make those
10 calls at break or at the end of the day and try to get
11 back to you with specific responses in the morning.

12 ACTING CHAIRMAN TAIT: Jerry.

13 MR. HEFFERNAN: Yeah, just to follow up.
14 Mr. Ashton asked a question before if there was ever a
15 situation where you couldn't resolve a cost issue with C-
16 DOT. And the answer was no, we were always able to
17 resolve it. And I'm wondering if the reason you were
18 always able to resolve it is because the law was very
19 clear. On the incident that Mr. Reed spoke about before,
20 it just seemed that there was an awful lot of money at
21 stake, but the law basically said this is what you have
22 to pay. I mean what -- what I'm getting at -- Mr. Walsh
23 was talking before --

24 MR. ZAKLUKIEWICZ: I --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. HEFFERNAN: -- you obviously said we
2 could always go to agreement on this, and he feels that
3 some things I guess you might not come to agreement that
4 he's trying to get straightened out, like having to move
5 this cable. If it has to be moved for a project for
6 them, does the law state that they have to pay X amount
7 of dollars or is that something that could be negotiable
8 even if the law does say you have to do it?

9 MR. ZAKLUKIEWICZ: That's right --

10 ACTING CHAIRMAN TAIT: I'm not aware of
11 what the law says at this point --

12 MR. HEFFERNAN: Yeah --

13 ACTING CHAIRMAN TAIT: -- could Mr.
14 Fitzgerald help us as to the law involved here.

15 MR. FITZGERALD: Well, it's been -- Mr.
16 Walsh probably knows more about that than anybody else in
17 the room, but I think the earlier testimony was that if
18 it's in a limited access right-of-way, the State's
19 obligation is a hundred percent reimbursement. If it's
20 in a non-limited access highway, the State's obligation
21 is 50 percent.

22 ACTING CHAIRMAN TAIT: Is that your
23 understanding, Mr. Walsh?

24 MR. WALSH: Provided there's no agreement

1 between the parties to the contrary, that would be
2 correct.

3 ACTING CHAIRMAN TAIT: Could you cite the
4 statute for the record?

5 MR. WALSH: It's 13a 126.

6 ACTING CHAIRMAN TAIT: Thank you.

7 MR. EMERICK: Mr. Walsh, though, is that
8 in response to a DOT initiated project, a DOT --

9 MR. WALSH: Yes. That is if, in fact, the
10 Department of Transportation issues an order to the
11 utility to remove, relocate, or adjust its facilities
12 within or outside the state highway right-of-way. I do
13 not believe it applies to a utility initiated project
14 such as this.

15 MR. EMERICK: So you believe it doesn't
16 apply to a project like this where we have contaminated
17 materials?

18 MR. WALSH: That would be my contention,
19 yes.

20 MS. RANDELL: Mr. Tait, we do happen to
21 have 13a 126 here with us. Would you like a copy?
22 Should we provide you with copies?

23 ACTING CHAIRMAN TAIT: I think it would be
24 helpful -- are there DOT regulations on this thing?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MS. RANDELL: We have those too.

2 ACTING CHAIRMAN TAIT: I think -- give us
3 a packet of the applicable statutes and regulations --

4 MR. WALSH: I believe some of that
5 material may have already been provided to you with
6 respect to Mr. Green's testimony for Thursday.

7 ACTING CHAIRMAN TAIT: Oh, okay.

8 MR. WALSH: And I will provide you
9 additional --

10 ACTING CHAIRMAN TAIT: You might
11 supplement it with --

12 MR. WALSH: -- additional materials.

13 ACTING CHAIRMAN TAIT: We do thank you.

14 MR. WALSH: You're welcome.

15 ACTING CHAIRMAN TAIT: If -- you're on.

16 MR. ASHTON: I think it's perhaps
17 incumbent to get something on the record -- I don't want
18 Mr. Fitzgerald with his long legs to take a flyer, the
19 skirt in front of the table has dropped down and I don't
20 want it to get tangled around your feet so you go head
21 over heels -- I'm not worried about Miss Randell, but --
22 (laughter) --

23 MS. RANDELL: I think my skirt may be
24 almost as long as his trousers. (Laughter).

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. WALSH: With respect to the proposed
2 route, have the Applicants investigated the number of
3 properties along that route that are subject to the
4 Department of Environmental Protection cleanup orders?

5 MS. MANGO: No, we have not done that as
6 of yet.

7 MR. WALSH: Do you intend to do so at some
8 point in time?

9 MS. MANGO: I would think that that would
10 be something the companies would want to do. It would be
11 like a phase 1 assessment to determine the status of
12 properties along the proposed route, yes.

13 MR. WALSH: Would that be done prior to
14 the development and management plan submission to the
15 Siting Council?

16 MS. MANGO: Yes.

17 MR. WALSH: I'd like to talk about -- or
18 ask some questions about some of the river crossings and
19 the trenchless technology that's going to be utilized
20 along that portion of the route. Could somebody briefly
21 just go over what those technologies are and how those
22 are going to be implemented?

23 MR. FITZGERALD: If I may just interrupt.
24 We do have a consultant, Mr. John Hair, here, who is --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 that is his specific area, and perhaps we should swear
2 him in in case and bring him up to the table in case some
3 of these questions go beyond the grasp of the more
4 general witnesses that we have here.

5 ACTING CHAIRMAN TAIT: Is that helpful to
6 you, Mr. --

7 MR. WALSH: That may be, yes.

8 ACTING CHAIRMAN TAIT: Why don't we do so
9 then.

10 MR. MARCONI: Okay, if you could please
11 state your full name and address for the record and spell
12 it.

13 MR. JOHN HAIR: John Hair, H-a-i-r, 2143
14 South Owasso Avenue, O-w-a-s-s-o, Tulsa, Oklahoma.

15 MR. MARCONI: Okay. And sir, please raise
16 your right hand.

17 (Whereupon, John Hair was duly sworn in.)

18 MR. MARCONI: Please be seated.

19 MR. WALSH: I'd like to just repeat the
20 question. Could somebody please --

21 MR. REED: Mr. Tait --

22 MR. WALSH: -- address the -- I'm sorry.

23 MR. REED: Before we -- we do have the
24 resume of Mr. Hair. I only have one copy of it though.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 I'd be happy to have someone make the Council copies and
2 include Mr. Hair's resume in the record or -- or we could
3 ask Mr. Hair to just give a one-minute summary of what it
4 says for ease.

5 ACTING CHAIRMAN TAIT: Why don't we do
6 that --

7 MR. WALSH: That would be fine --

8 ACTING CHAIRMAN TAIT: -- to expedite
9 things. And provide copies for tomorrow.

10 MR. REED: Okay, fine. Thank you.

11 MR. MARCONI: Is there any objection to
12 having it in as an exhibit?

13 MR. HAIR: So you just need a summary of
14 my background now?

15 ACTING CHAIRMAN TAIT: Yes, just --

16 MR. HAIR: I'm a -- I'm a civil engineer.
17 My special area of expertise is in horizontal
18 directional drilling as it relates to buried utility
19 construction. I've been a consultant for 17 years.
20 Before that, I was employed by contractors and pipeline
21 operating companies. I am a licensed engineer in the
22 State of Connecticut.

23 ACTING CHAIRMAN TAIT: Does anybody have
24 an objection to having his resume go in as Applicant's

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Exhibit No. 60? Fine.

2 (Whereupon, Applicants' Exhibit No. 60 was
3 received into evidence as a full exhibit.)

4 MR. LYNCH: (Indiscernible) -- see you in
5 Phase I, 217 --

6 COURT REPORTER: Wait a minute, hold it,
7 hold it --

8 MR. LYNCH: I'm sorry. You've been before
9 us before, haven't you, Mr. Hair?

10 MR. HAIR: Yes. But not on any of this
11 business.

12 MR. FITZGERALD: (Indiscernible) --
13 (laughter) --

14 MR. LYNCH: We won't go there.

15 ACTING CHAIRMAN TAIT: Mr. Walsh, he's
16 your witness.

17 MR. WALSH: Thank you. Mr. Hair, could
18 you please describe the technology that's going to be
19 utilized to have this transmission facility go underneath
20 some of the rivers in Connecticut?

21 MR. HAIR: Yes, sir. We are considering
22 really two -- two trenchless excavation techniques, that
23 would horizontal directional drilling and boring and
24 jacking. I might, as an aside, add with respect to

HEARING RE: CL&P and UI
APRIL 20, 2004

1 boring and jacking, we may -- or we are also considering
2 micro-tunneling, which is very similar to boring and
3 jacking but is much more -- involves much more
4 sophisticated equipment, close face boring machines,
5 steerable boring machines. But I think for purposes of
6 this hearing, we can consider micro-tunneling a boring
7 and jacking method. Would you like a more detailed --

8 MR. WALSH: If you could just describe the
9 differences between the horizontal directional drilling
10 versus the boring and jacking? And you're saying that
11 the micro-tunneling is similar to the boring and jacking,
12 is that correct?

13 MR. HAIR: Yes, sir, that's correct.

14 MR. WALSH: If you could just describe the
15 main differences between those, I'd appreciate it?

16 MR. HAIR: Okay. Horizontal directional
17 drilling is a surface-to-surface process. And by that I
18 mean the equipment is set up on the ground surface. A
19 pilot hole is drilled. It can be drilled directionally
20 so it can go down in an inverted arc and come up at a
21 point on the other side of the obstacle or the waterway.

22 This hole is then rimmed out to an appropriate size and
23 the ducts are pulled into the hole. So the main -- the
24 main factors to consider in terms of the difference from

HEARING RE: CL&P and UI
APRIL 20, 2004

1 boring and jacking is that it is a steerable drilling
2 process and it's a surface-to-surface process.

3 ACTING CHAIRMAN TAIT: By -- you can
4 direct the drill --

5 MR. HAIR: Yes, sir --

6 ACTING CHAIRMAN TAIT: -- down and up and
7 --

8 MR. HAIR: Absolutely. It can be steered,
9 yes, sir. Boring and jacking -- and also -- and I also
10 mentioned micro-tunneling. Micro-tunneling can be
11 steered but it's more steered in a straight line. It's
12 designed to go -- to be steered straight as opposed to
13 being accidentally deflected.

14 Boring and jacking is more a straight line
15 process that involves construction of pits on either side
16 of the obstacle and then a thrusting and simultaneously
17 installing of pipe by use of a jacking process with
18 perhaps either a continuous flight auger to bring spoil
19 out or some type of slurry system to make what might be
20 considered a small tunnel under the waterway.

21 MR. WALSH: And what would the diameter of
22 that tunnel be, either using the horizontal directional
23 drilling or the boring and jacking, if you know?

24 MR. HAIR: Okay. For boring and jacking

HEARING RE: CL&P and UI
APRIL 20, 2004

1 we are looking at a 60-inch tunnel, which would involve
2 some type of casing. It can either be a steel pipe, a
3 steel jacking pipe, or another type of material such as
4 concrete or even clay.

5 For horizontal directional drilling we are
6 looking at two bored holes separated, these holes would
7 be 36 inches in diameter and they would contain in each a
8 bundle of three pipes or three of those eight-inch pipes
9 bundled together, perhaps tied together, perhaps not, in
10 each 36-inch hole.

11 MR. WILENSKY: Why is the hole so much
12 larger than the pipes -- I gather from what you're
13 saying, the dimensions you're using, the hole seems much
14 larger than the pipes that are going through the holes.
15 And why is that?

16 MR. HAIR: Well, that's really to
17 facilitate being able to pull the pipes into the hole.
18 In the industry there is a rule of thumb that the actual
19 hole that is made needs to be either 12 inches or roughly
20 150 percent larger than the diameter of the pipe that's
21 going to go in the hole. In this case we have a bundle
22 of pipes that have an effective diameter approaching 24
23 inches, so that's where we get to 36. We might be able
24 to do it with a 30-inch hole, but that's because the --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 that's just enough clearance to allow the ducts or
2 pipeline to be pulled into the hole.

3 MR. WILENSKY: Once you dig through that
4 hole and you create that hole, is there anything that
5 goes around the inside perimeter of that hole to protect
6 the wall of the hole?

7 MR. HAIR: No, sir. No, sir. And whether
8 or not an open hole is maintained depends on what type of
9 soil we're drilling in. If we're drilling in rock, we
10 open a hole up and it stays open. If we're drilling in
11 let's say a sand or a cohesion-less type soil, we may
12 have a hole, it may collapse, it may be in a fluidized
13 state for a short period of time which allows us to pull
14 the pipe through it. That may have been more of an
15 answer than you wanted --

16 MR. WILENSKY: But if it collapses on the
17 pipe, does that create a problem? In other words, what
18 is inside the hole is sand we'll say, and that sand comes
19 around and encompasses the pipe, does that create -- and
20 the hole is not the 12-inch of separation, does that
21 create a problem?

22 MR. HAIR: Well, it can create a problem,
23 but the thing that you should bear in mind is while we're
24 pulling the pipe in, we're pumping drilling mud, the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 bentonite drilling mud, which has been a topic of
2 detailed discussion in other hearings. And so it is --
3 it's this drilling fluid in that hole that allows us to
4 pull the pipe through the soil even if it does collapse.

5 And if the soil is composed of larger grain material,
6 gravel and cobble-size material, it can be a problem. It
7 is possible and it does occur that pipelines or bundles
8 of ducts can get stuck during pull-back, in which case
9 you pull them out or undertake some remedial measure or
10 start over.

11 MR. WILENSKY: Is there a lubricant that
12 goes into that opening -- there is a lubricant that goes
13 in there, I gather?

14 MR. HAIR: The bentonite drilling mud is
15 the lubricant.

16 MR. WILENSKY: Yeah. Okay, thank you.
17 Thank you very much.

18 ACTING CHAIRMAN TAIT: Mr. Walsh.

19 MR. WALSH: Thank you. You mentioned that
20 there would be some sort of a drilling fluid used or
21 drilling mud, is that correct?

22 MR. HAIR: Yes, sir, that's correct.

23 MR. WALSH: How -- how deep is this hole
24 below the bed of the river or the water crossing

HEARING RE: CL&P and UI
APRIL 20, 2004

1 normally? Is -- is there a standard depth that you use or
2 how do you go about steering the tool through the bottom
3 of the substrate of the water body?

4 MR. HAIR: Well, the design criteria that
5 we've established for this project initially is 15 feet
6 of separation from the design pilot hole for the HDD
7 crossings. In many cases it will be deeper because of
8 the subsurface conditions. And by that I mean if we have
9 a case where we've only got 10 feet or 15 feet of
10 overburden above bedrock between the bottom of the
11 waterway, we'll dive down deeper into the rock. But for
12 the shorter crossings that we're contemplating here, 15
13 feet, which is the minimum separation, for the boring and
14 jacking or micro-tunnel crossings, at this point in time
15 we've established a criteria of twice the diameter. So
16 we're looking at something like a cover in that case of
17 eight to ten feet. This is all subject to detail design.

18 MR. WALSH: When you're using the drilling
19 fluids is there any concern about fracturing the
20 overburden formations above it such that the drilling mud
21 could seep into the water body?

22 MR. HAIR: Yes. And I'd like to -- I'd
23 like to give you a little detailed answer. The term
24 fracturing or frac-out (phonetic) is often used. It does

HEARING RE: CL&P and UI
APRIL 20, 2004

1 not necessarily describe what is happening. I don't want
2 to spend a lot of time arguing over what the term is, but
3 we -- we don't actually cause the fracture I don't
4 believe -- and this is my technical opinion -- we don't
5 actually cause fractures, but there may be preexisting
6 fractures that will allow the mud to flow into a water
7 body. Obviously, we can't predict or control the makeup
8 and nature of the subsurface, so that we run that risk
9 every time we drill.

10 MR. WALSH: Is this drilling fluid pumped
11 under pressure?

12 MR. HAIR: Yes, it is under pressure.
13 It's not under very much pressure once it leaves the
14 drill pipe and bit.

15 MR. WALSH: What is the pressure of the
16 fluid as it's going down the drill pipe?

17 MR. HAIR: Well, that would vary depending
18 on how long it's being pumped, but you're generally going
19 to see on a mud gauge up at the rig, at the discharge of
20 the pump, somewhere around, I don't know, 200, 300, 400
21 psi. And then the pressure outside of the pipe and once
22 it passes through the bit and the nozzle will be just
23 very slightly over hydrostatic.

24 MR. WALSH: Are there any other additives

HEARING RE: CL&P and UI
APRIL 20, 2004

1 to the mud other than the bentonite?

2 MR. HAIR: Well, there can be. Now
3 there's -- a lot of misunderstanding involved the type of
4 -- the type of bentonite drilling muds that are used now,
5 but typically most have extenders in them, which are
6 polymers, such as carboxyl methyl cellulose, commonly
7 referred to as CMC, and these are polymers which allow
8 the mud to function with less bentonite. So that when
9 you -- when you asked me the question are there
10 additives, I'm going to answer the question that way. If
11 you go buy a sack of high yield bentonite, it's not going
12 to say it has an additive in it, but in order for it to
13 be high yield bentonite, it's going to have a little bit
14 of a cellulosic polymer or some type of extending
15 polymer. It doesn't have to, but it typically will.

16 MR. WALSH: Have you ever run into a
17 situation where the drilling fluid becomes too thick?

18 MR. HAIR: Well, yes, it can be too thick
19 --

20 MR. WALSH: And what would you do to
21 remedy that situation? Are there certain things that you
22 would add to the drilling fluid to thin it out?

23 MR. WALSH: In the horizontal directional
24 drilling industry -- when you say too thick, I mean -- I

HEARING RE: CL&P and UI
APRIL 20, 2004

1 think what you mean is the viscosity is too --

2 MR. WALSH: Correct.

3 MR. HAIR: No, we -- when you're talking
4 about using dispersants, I think most drilling
5 contractors would just stop adding gel, or the bentonite,
6 and would just drill with water. Normally when you build
7 viscosity, it's because you're drilling through a clay
8 formation which is -- the bentonite is sodium
9 montmorillonite, it's clay -- so if you're drilling in a
10 native clay, you can actually build viscosity, make your
11 own mud.

12 MR. WALSH: But isn't it possible that
13 there are certain materials that you could add to the mud
14 to thin it out and that some drilling contractors would
15 in fact use to thin it out if it was too thick?

16 MR. HAIR: It's possible, but drilling
17 contractors, at least on the jobs we work on, only put in
18 the mud what they are allowed to put in the mud. So if
19 it's -- if it's a harmful additive, it's not used. And
20 that's why I say most people would just use water to thin
21 the mud.

22 MR. WALSH: With respect to your earlier
23 statement, you said you don't believe that the drilling
24 mud causes fractures. Are you aware of drilling mud

HEARING RE: CL&P and UI
APRIL 20, 2004

1 being used to induce fractures in other industries, such
2 as the oil and gas industry?

3 MR. HAIR: Well, I'm vaguely aware of
4 frac-jobs in oil and gas production. I don't know if
5 they used fresh water, bentonite muds to do that. I'm
6 not sure what kind of fluids they used.

7 MR. WALSH: But -- but they do use a fluid
8 to fracture the formation, is that correct?

9 MR. HAIR: Yes, I believe so.

10 MR. WALSH: So there is a possibility here
11 that the fluids could, in fact, fracture the bottom of
12 the riverbed and leak up into the riverbed with the
13 bentonite and other materials reaching the riverbed or
14 streambed here, is that not a possibility?

15 MR. FITZGERALD: Objection. That's a --
16 that's a double question.

17 MR. WALSH: I'll rephrase it. Isn't it
18 possible for drilling fluids to fracture the formation
19 during the installation of this facility under the
20 riverbed?

21 MR. HAIR: It's a possibility. But what
22 my answer to you earlier was I think that rarely occurs -
23 -

24 MR. WALSH: Okay --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. HAIR: -- but it is a possibility.

2 MR. WALSH: And if that possibility
3 occurred, would it also be possible for the drilling
4 fluids to migrate up into the body of water overlying
5 that underground crossing?

6 MR. WALSH: Yes. And I believe what I
7 answered before is even if that doesn't occur, that can
8 still happen, we can still have mud flow into a waterway.

9 MR. WALSH: You indicated that the depth
10 for the horizontal directional drilling would be about 15
11 feet below the seafloor or the floor of the body of water
12 that you're going under, is that correct?

13 MR. HAIR: Well, I indicated that that was
14 the design criteria as a minimum we had established for
15 this project. It can be greater. It's not going to be
16 less.

17 MR. WALSH: And with regard to boring and
18 jacking, it could be eight to ten feet, that would be the
19 design criteria, correct?

20 MR. HAIR: Yes, sir, at this stage.

21 MR. WALSH: Could -- could somebody on the
22 panel explain to me how you can have a high pressure
23 fluid filled transmission line at a depth of 15 feet, or 8
24 to 10 feet below the level of the surface when we were

HEARING RE: CL&P and UI
APRIL 20, 2004

1 told that for purposes of heat dispersion that you could
2 not bury that deep?

3 MR. PRETE: Jay.

4 MR. WILLIAMS: Okay. I'll explain --
5 would you like to ask the question again --

6 MR. WALSH: Well, I'd like to know -- we
7 were told earlier that -- that the deeper that the cable
8 was buried on land, that there was a problem with heat
9 dissipation, and yet we're being told here that this is
10 going to be 15 feet below the bottom of the stream
11 crossings or eight to ten feet if you use jacking and
12 boring. How does that -- that doesn't seem consistent
13 with what I heard earlier about the ability of the cable
14 to dissipate heat when in fact it needed to be closer to
15 the surface.

16 MR. WILLIAMS: It is definitely more
17 difficult to dissipate the heat when you have a bore and
18 jack or directional drill. And what we do is we deal
19 with that -- in the case of the directional drill for
20 example, there would be two bores, each containing one of
21 the two cable lines, so the cable lines would be
22 approximately 15 to 20 feet apart. The heating effect of
23 one cable on another, which reduces the rating of each
24 cable, would be greatly reduced because of that spacing.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 So that reduced heating effect would allow us to,
2 depending upon the specific installation conditions,
3 maintain the rating of the cable. So that happens
4 because we are in effect on both sides of the street, on
5 either side of the street far apart.

6 MR. WALSH: Would there be anything that
7 would preclude the Applicants from utilizing these
8 trenchless technologies under the state highway rights-
9 of-way rather than having to use a trench for the
10 installation of the high pressure fluid filled
11 transmission line?

12 MR. WILLIAMS: There are a host of
13 technical and cost implications of doing that. Mr. Hair
14 may want to address those because to establish a
15 directional drill, it's not just drilling a hole in the
16 ground, there's a very large setup area required and --
17 it's a major undertaking as opposed to digging a trench
18 with a backhoe.

19 MR. WALSH: Well, it's my understanding
20 from what I've seen of the diagram in the application
21 that there's a column of approximately six to eight
22 hundred feet that's going to be required for the
23 installation of the trench technology. So are you saying
24 that the horizontal directional drilling would require

HEARING RE: CL&P and UI
APRIL 20, 2004

1 more space than that six to eight hundred feet along the
2 state highway right-of-way?

3 MR. HAIR: Well, I'd ask the other members
4 of the panel to correct me if I'm wrong, but the open
5 trench is -- when the -- when the trench is opened up,
6 it's going to be opened up and then closed fairly
7 quickly. What you need to recognize is when we have to
8 set the equipment up, either the micro-tunneling
9 equipment or the drilling equipment, we're going to take
10 a certain amount of space and be there a number of days.
11 So it's not going to progress down the road like the
12 open trench would.

13 MR. WALSH: And how many days would that
14 take, if you could --

15 MR. HAIR: Well, it would vary depending
16 on the soil conditions and the length, but I mean we
17 could easily be in a location installing a substantial
18 crossing for four to six weeks.

19 MR. O'NEILL: Mr. --

20 MR. ASHTON: Would weather affect that
21 time span also?

22 MR. HAIR: I'm sorry?

23 MR. ASHTON: Would weather affect that
24 duration?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. HAIR: Not so much. Not really. The
2 only effect of weather is, you know, if it's cold and
3 below freezing at night -- actually, I think we're
4 envisioning a 24-hour operation -- so not really. I mean
5 thunderstorms may shut work down. But no, weather
6 doesn't really have an effect.

7 MR. O'NEILL: Mr. Hair, what are the
8 relative cost factors of micro-tunneling versus
9 conventional trenching, do you have any idea?

10 MR. HAIR: No -- I can't give you an
11 accurate answer, but the trenchless excavation techniques
12 are going to be substantially significantly more
13 expensive.

14 MR. O'NEILL: Thank you.

15 ACTING CHAIRMAN TAIT: Mr. Walsh, how many
16 more questions do you have? I was just wondering whether
17 to take the break now or at 3:00 o'clock. What would
18 suit you best?

19 MR. WALSH: I just have a - very few more
20 questions.

21 ACTING CHAIRMAN TAIT: Let's continue
22 then.

23 MR. WALSH: I'll -- I will turn it over to
24 Miss Meskill and she can finish up, thank you.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MS. MESKILL: Thank you. Actually, most
2 of my questions have already been answered, but I do have
3 one follow-up question, and I think I'm going to probably
4 direct it to Miss Mango because it involves her
5 testimony. On page 13 you discuss the fluid that's going
6 to be in the cable, and I don't know if I'm pronouncing
7 it correctly, but it says it's polybutene?

8 MS. MANGO: Yes.

9 MS. MESKILL: Okay. Can you tell me --
10 you describe its characteristics. Can you tell me
11 whether or not that fluid is flammable?

12 MS. MANGO: Not as far as I know. And let
13 me say up front that I think we have somebody who is
14 available to testify specifically about this fluid, do we
15 not, tomorrow --

16 MS. MESKILL: Tomorrow?

17 MS. MANGO: Yes.

18 MS. MESKILL: Okay.

19 MS. MANGO: So you would get more
20 information from that person than you would get from me.

21 MS. MESKILL: Okay, thank you.

22 ACTING CHAIRMAN TAIT: Does that conclude
23 DOT's cross-examination?

24 MR. WALSH: Yes --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MS. MESKILL: Yes --

2 MR. WALSH: -- thank you.

3 ACTING CHAIRMAN TAIT: Okay. We'll take a
4 10-minute break. And I think then, Mr. Reif, you're next
5 after -- oh, Brian --

6 MR. EMERICK: One question for Mr. Hair.
7 In the HDD what's the approximate angle of the drill?

8 MR. ASHTON: Entry --

9 MR. HAIR: Yeah. For rock jobs we're
10 looking at perhaps 14-degree with horizontal. Typically,
11 we'd be looking at 10 to 12. That will vary -- that will
12 be a designed figure based on specific conditions at a
13 given site, work space -- you know, if we're diving down
14 into rock or if we're trying to stay in the softer soil
15 above. But you know, somewhere let's say from 10 to 14
16 degrees with horizontal.

17 MR. EMERICK: I guess -- I have a
18 combination question. In terms of -- you're saying
19 diving down, but we've also heard one of the driving
20 factors in selecting the proposed route is it's
21 relatively flat where HD -- HPPF over significant
22 elevation changes is a problem in terms of slumping
23 cables, etcetera. And I was just wondering given, you
24 know, that we're diving down, how steep that angle is and

HEARING RE: CL&P and UI
APRIL 20, 2004

1 whether that's a factor in terms of the kind of cable
2 we're using here or whether they're going to make you go
3 -- not dive down, but do a little more gentle dive?

4 MR. HAIR: Well 14 degrees with horizontal
5 is fairly gentle, but I'd have to let some of the cable
6 experts answer that question.

7 MR. WILLIAMS: Yeah, 14 degrees is -- only
8 for a distance -- you're only going to a depth from the
9 surface of perhaps 40 feet, you know 15 feet or so
10 underneath the water bottom. So while we're talking
11 about what is for the cable a fairly steep slope, the
12 distance over which we're doing that is quite short.

13 MR. EMERICK: So it's not a problem in
14 terms of what we heard in some of the limitations in
15 terms of cable, in terms of elevation changes?

16 MR. WILLIAMS: Again, 14 degrees is a
17 slope that could be of concern, but we're only dropping
18 40 feet in doing that. If we were going 14 degrees for
19 thousands of feet, it would be a problem, but we're just
20 really dropping 40 feet.

21 MR. EMERICK: Alright, thank --

22 MR. ZAKLUKIEWICZ: I think in the detailed
23 design of this, Mr. Emerick, we have to take into account
24 every location where there is a direct bore, an HDD, and

HEARING RE: CL&P and UI
APRIL 20, 2004

1 to account as to looking at the cable stresses, and those
2 may mean that we have vaults, splicing vaults closer
3 together, or we may have to move where we would normally
4 prefer to have a splicing vault in lieu of the fact that
5 we've done an HDD at this location to ensure the
6 reliability of the cable. So this is all going to be
7 factored in once we get Siting Council approval to move
8 forward with the project, hopefully we will.

9 And before we put together the D&M plan,
10 this is the detailed engineering that has to be done to
11 bring forth the D&M plans as to here at the site
12 locations. And before we do that, then we would do the
13 detailed design, meet with the towns and the DOT to make
14 certain there's -- here's where the vaults are going to
15 have to be placed technically within a hundred feet or so
16 to minimize the impact on the stresses of the cables.

17 MR. EMERICK: Thank you.

18 ACTING CHAIRMAN TAIT: We're in recess for
19 10 minutes.

20 (Whereupon, a short recess was taken.)

21 ACTING CHAIRMAN TAIT: We'll go back in
22 order. I understand the Applicant has some information
23 that they can add to the record.

24 MS. RANDELL: Yes. We have two items.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Starting with your, Mr. Reed, you were going to provide
2 an order of magnitude cost comparison between underground
3 distribution lines and underground transmission.

4 MR. REED: The cost of a mile of
5 distribution facility, basically existing a substation,
6 again depends very much on the soil conditions, where
7 it's located, but it would cost approximately three
8 million dollars per mile, and I'll say plus or minus 20
9 percent based on soil conditions, traffic conditions,
10 depending on where you building it and everything, but a
11 mile of distribution is about three million dollars.

12 MR. ASHTON: That's in a duct --

13 MR. REED: That's in a duct bank --

14 MR. ASHTON: Okay --

15 MR. REED: -- and that could be a 12 to 16
16 cable duct bank.

17 MR. ASHTON: So the three million would
18 cover all of those --

19 MR. REED: Yes, yeah.

20 MR. ASHTON: Thank you.

21 ACTING CHAIRMAN TAIT: Okay. And the
22 other piece of information?

23 MS. RANDELL: Yes. Mr. Zaklukiewicz, do
24 you have information with respect to CL&P's transmission

HEARING RE: CL&P and UI
APRIL 20, 2004

1 lines installed within state roads?

2 MR. ZAKLUKIEWICZ: Yes, I do. We were
3 able to locate in a preliminary review three locations.
4 Two of them have to do with independent power producing
5 facilities that were turned over to CL&P. The first one
6 is in -- the Exetor generating facility in Plainfield,
7 Connecticut, there is approximately a hundred -- there is
8 approximately 0.25 miles in State Highway 14, that is
9 115-kV cross-link polyethylene cable from the Exetor
10 generating facility. To our knowledge, following that
11 project, there was no contaminated soil located in that
12 quarter-mile stretch of Route 14.

13 The second location, again with an
14 independent power producer, and this was the transmission
15 fee, that 69-kV, that was HPFF cable associated with the
16 interconnection to SCRRRA, and that is the acronym for
17 Southeast Connecticut Regional Resource Recovery
18 Authority generating facility in Preston, Connecticut.
19 The length of that line on state roads is approximately
20 2.25 miles. And that would have been in Routes 12, 2A
21 and 177. Again to our knowledge, we found no
22 contaminated soil or no contaminated soil was discovered
23 in the process of installing that 2.25 mile section of
24 HPFF cable.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 The third is a one-mile stretch of EPR,
2 which is ethylene propylene rubber cable, which was in
3 New London, Connecticut, and that is the interconnection
4 of the electrified railroad station that was placed in
5 New London from our Williams Street Substation, also
6 located in New London. And in that mile stretch along
7 Route 32 our records indicate there was no contaminated
8 soil located in the excavation of placing that 115-kV
9 cable in service.

10 ACTING CHAIRMAN TAIT: Thank you, Mr. Zak.

11 MR. EMERICK: Mr. Chairman.

12 ACTING CHAIRMAN TAIT: Yes?

13 MR. EMERICK: I assume we'll have some
14 search by UI to see if we have an incidence where we have
15 a state route excavation contamination settlement process
16 in terms of disposal of that material?

17 A VOICE: Yes, we will.

18 MR. EMERICK: Okay, thank you.

19 ACTING CHAIRMAN TAIT: Okay. Fred.

20 MR. CUNLIFFE: I believe that Mr. Reed
21 needed to follow up on the comparison of the distribution
22 versus the transmission cost, and I don't think I heard
23 the transmission cost per mile.

24 A VOICE: John, do you want to --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. PRETE: I'll be happy to answer that.

2 Again, go to the attachment to DW-31 -- 031. If you
3 look at the summary of costs, the cost of -- the direct
4 cost of the proposed route underground, 23.6 miles, is
5 177,904,000. So the cost per mile on that particular
6 calculation is 7.33 million per mile.

7 MR. ASHTON: That's an all in cost -- all
8 facilities?

9 MR. PRETE: Yes, that's the direct cost
10 associated with all facilities.

11 MR. FITZGERALD: Including the
12 substations?

13 A VOICE: No --

14 A VOICE: No --

15 MR. PRETE: No.

16 MR. FITZGERALD: Okay.

17 ACTING CHAIRMAN TAIT: And Mr. Williams,
18 you're going to report tomorrow on the New York under-
19 grounding 345 --

20 MR. WILLIAMS: The Commonwealth Edison --

21 ACTING CHAIRMAN TAIT: The Commonwealth --

22 MR. WILLIAMS: -- of Chicago, yes --

23 ACTING CHAIRMAN TAIT: Tomorrow?

24 MR. WILLIAMS: Yes, we are.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 ACTING CHAIRMAN TAIT: Okay. Going back
2 to our hearing program, I'm down to No. 19, Mr. Reif.

3 MR. REIF: No questions.

4 ACTING CHAIRMAN TAIT: No questions, okay.
5 Mr. Ball, representing Wilton and Weston. And I
6 understand Westport is sort of going to tag on after you
7 guys are through, is that correct, Mr. Cederbaum?

8 MR. CEDERBAUM: Yes, thank you very much,
9 Mr. Tait.

10 ACTING CHAIRMAN TAIT: Okay.

11 MR. BALL: Thank you, Mr. Tait. David
12 Ball on behalf of the Towns of Wilton and Weston. Monte
13 Frank, who also represents the Towns of Wilton and
14 Weston, will have some questions after I'm through.

15 I'd like to ask Mr. Hair a follow-up
16 question from the prior line of questioning. There was
17 questioning as to horizontal directional drilling and
18 whether it's a technique used along highways. Would you
19 care to comment on that, Mr. Hair?

20 MR. HAIR: Well -- yes. Horizontal
21 directional drilling is typically applied to cross major
22 obstacles, such as rivers, where there's really no other
23 appropriate construction method. Horizontal drilling for
24 a major waterway is generally cheaper than open cut

HEARING RE: CL&P and UI
APRIL 20, 2004

1 construction.

2 And I guess really -- if I can maybe get
3 at the -- get at -- maybe get at the meat of this
4 particular issue, perhaps there was a feeling that the
5 entire route could be drilled or perhaps drilled in
6 segments or stitches. While that may be technically
7 feasible, that would I think -- aside from substantially
8 higher costs, it would also probably represent a much
9 greater impact and inconvenience to the public around
10 Route 1.

11 What I think you need to recognize is that
12 drilling is going to offer a good solution for crossing
13 obstacles where your other options are limited, but the
14 drilling is going to take up a lot more space than
15 trenching for a longer period of time. So while we might
16 be able to drill a 2,000-foot stitch or a 3,000-foot
17 stitch or even longer, on either end we're going to have
18 a substantially -- have to take a substantially greater
19 amount of space for the operations. The longer the
20 crossing, the longer the period of time. And just to
21 kind of give you a feel for what it can be, we've been
22 involved -- I've been involved in 5,000-foot rock
23 crossings that have taken six to eight months. So the --

24 COURT REPORTER: One moment please.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 (Pause). Thank you.

2 MR. HAIR: The applications that we are
3 envisioning here is to apply the technology for the
4 minimal amount of impact or inconvenience to the public
5 where -- you know, where it fits. You know, if we're
6 just looking once again at marching down in a thousand or
7 even five-hundred foot segments, open cutting, being
8 there for a few days and then moving on, that's going to
9 represent, I think, a lot less impact.

10 MR. BALL: Thank you. Let me shift gears
11 and ask some questions about the HPFF cables and leaks
12 from the cables. Mr. Zak, I believe in your testimony
13 you testified that the underground cables along Segments
14 3 and 4 ought to operate leak free except for dig-ins.
15 Can you explain how the design of the HPFF cables will
16 help to operate leak free? (Pause). Or Mr. Gregory?

17 MR. ZAKLUKIEWICZ: I'll give you a high
18 level response back and if additional detail is
19 necessary, Mr. Gregory and Mr. Williams can add to my
20 comments.

21 At an extremely high level, I think the
22 technology has changed over the years such that we better
23 -- we have better information and clearly understand how
24 to cathodically protect the cables. Clearly, the pipe

HEARING RE: CL&P and UI
APRIL 20, 2004

1 will be specified with a mastic, which basically should
2 isolate the cable from ground even though it's installed
3 in ground. After the welding of each piece is performed,
4 we will then turn around and put a mastic coating, which
5 is a continuation of the coating in which the piping is
6 purchased, such that we have a continuous isolation from
7 ground on the outside of the piping.

8 When we install the pipe, whether it be in
9 a direct bore or in a jack and bore, we will also do
10 testing following the installation of that section of
11 pipe to ensure the integrity of the insulating material
12 on the outside of the piping from ground, such that we
13 will -- we will not have areas where the flow of current
14 then can go from the point where there's a breach in the
15 insulation to ground at that point. And that basically
16 ends up creating your cell, which ends up in
17 deterioration and pitting of the pipe. Where we end up
18 with the pipe basically scarred in the pulling of pipe
19 beneath a river or some other obstacle as a result of the
20 bore, we will then at that point add cathodic protection
21 for that section of pipe and localize to provide the
22 protection necessary to ensure the integrity of the pipe
23 for a significant number of years after its installation.
24 Do you want to add more to that?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. WILLIAMS: That is exactly correct.
2 In addition incidentally to the mastic, there is a thick
3 polyethylene coating that is extruded on the pipe in the
4 factory, so that that provides additional mechanical and
5 corrosion protection to the pipe. Every foot of the pipe
6 is what we call 'jeeked' (phonetic), which is to put a
7 voltage test on the coating to make sure that the coating
8 has no --

9 COURT REPORTER: Mr. Williams, just turn
10 that microphone --

11 MR. WILLIAMS: Oh, I'm sorry. Thank you.
12 Every foot of the pipe before it is backfilled or before
13 it goes into a bore has a voltage of more than 10,000
14 volts applied to the pipe and the coating, and if that --
15 if there's any damage whatsoever to the coating, there's
16 a spark at that location, and that's corrected. So that
17 the pipe is in absolutely perfect shape when it goes into
18 the ground. The cathodic protection is applied to the
19 full length of the circuit just in case someone nicks the
20 pipe, for example some unauthorized digging in the area,
21 so that we do not have corrosion at that location. And
22 then very important, what the industry has learned in the
23 last decade is that careful maintenance of the corrosion
24 system, that is go out every year or every two years and

HEARING RE: CL&P and UI
APRIL 20, 2004

1 test the coating and make sure that the coating is in
2 good shape, will keep you leak free.

3 MR. ASHTON: May I ask a follow-up
4 question on that? Mr. Williams, you've had considerable
5 experience with the Con-Ed system. Was there any problem
6 to the underground pipe cable systems caused by ground
7 currents from the subway and electrified railroad
8 traffic?

9 MR. WILLIAMS: Yes. That's a good
10 question. Both Con-Edison and Boston Edison have DC
11 currents in the subway systems that have created all
12 sorts of difficulties for them over the years in terms of
13 currents flowing from the cable pipe to the subway taking
14 apparent metal away from the cable pipe and creating
15 leaks. I don't believe you have that on any of your
16 system.

17 MR. ASHTON: Is the ground currents from
18 the subway system evident in the Fairfield County area?
19 I had heard -- well, I won't testify.

20 ACTING CHAIRMAN TAIT: For a change.
21 (Laughter).

22 MR. WILLIAMS: I wish you would because I
23 don't know the answer. I have not heard of that, but
24 that's -- again, that's not my expertise.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. ASHTON: Mr. Zak may possibly know.
2 Have there been any evidence of ground currents from the
3 subway system up in lower Fairfield County?

4 MR. ZAKLUKIEWICZ: Not to my knowledge.
5 It's a continuous process for which you need a continual
6 check on because of the other infrastructures installing
7 their cathodic protections and the interaction of the
8 facilities for each one of the owners. So there is a
9 continuous adjustment that goes on and a continuous
10 checking of the cathodic protection that you believe you
11 had installed to ensure that you are really cathodically
12 protecting the equipment that you have in place.

13 MR. BALL: On those occasions where there
14 may be leaks, I assume that you will be employing
15 technologies so that you can quickly detect the leaks.
16 And I'm hoping you can comment on the nature of that
17 technology and how quickly one can detect a leak in the
18 ordinary course?

19 MR. ZAKLUKIEWICZ: Certainly. Mr.
20 Williams will handle that.

21 MR. WILLIAMS: Thank you. The industry is
22 very sensitive to the possibility of leaks even though,
23 except for a few isolated utilities, leaks are very very
24 uncommon. Every project that's designed, in addition to

HEARING RE: CL&P and UI
APRIL 20, 2004

1 what we've described for the protection of the pipe for
2 corrosion protection and so forth, has leak detection
3 systems installed so that the utility can detect the
4 presence of a leak at the lowest possible level.

5 There are -- within the pressurizing
6 plant, which is what maintains the fluid pressure on the
7 line, there are probably four or five levels of leak
8 detection, some more sensitive than others. If you want,
9 I'll be glad to describe each of them or just give you a
10 summary. But built inherent in the design of any modern
11 pressurizing plant are at least four different levels of
12 leak detection systems.

13 MR. BALL: Well how about a brief summary?

14 MR. WILLIAMS: Okay. A brief summary,
15 some of the levels are inherent in the -- the obvious one
16 such as the tank level, that's the level of liquid in the
17 tank, reduces -- each time you take a reading on the tank
18 to a level it sets an alarm. That's obviously fairly
19 course, but that is a method to determine a lost of
20 fluid.

21 In the sequence of pump operations, if a
22 pump historically operates five times a day to maintain
23 pressure on the line and it starts operating six times a
24 day, the utility goes out and sees if maybe the reason

HEARING RE: CL&P and UI
APRIL 20, 2004

1 it's operating an additional time is because you're not
2 having as much fluid come back into the line as you send
3 out.

4 The most sensitive that's used nowadays is
5 a combination of super sensitive flow meters that monitor
6 the flow during the evening hours and nighttime hours as
7 the system cools down because the load is low, so that
8 the fluid that's in the reservoir tank gets pumped into
9 the lines to maintain the proper pressure. During
10 daytime heating when the loads are building up, that
11 fluid gets pushed back into the tank again to maintain
12 proper pressures. So these very sensitive flow meters on
13 a daily basis measure what the amount of fluid leaving
14 the tank is, what the amount returning to the tank is.
15 And they're never exactly the same because load levels
16 fluctuate, you know, on a daily and weekly basis. So in
17 addition to that, this very sophisticated system monitors
18 the loading on the feeder, calculates the amount of fluid
19 that should go in and come out, compares the measure to
20 the calculated, and if they vary by a certain amount, it
21 rings a bell so to speak and the utility goes to search
22 if there's a leak.

23 MR. BALL: And once the leak is detected
24 through this technology, maybe you can briefly describe

HEARING RE: CL&P and UI
APRIL 20, 2004

1 the steps that the utility will take to remedy it?
2 MR. WILLIAMS: Okay, I'd be glad to. We
3 truly do not anticipate any corrosion type leaks on a
4 line like this because we do not have the subway system
5 with the currents that tend to rob metal from the pipe.
6 We do not expect to have the very congestive conditions
7 that are in New York City. But if a corrosion leak does
8 occur, it's typically a very very small leak, it's just a
9 pinhole, because that's what corrosion is. And a leak
10 such as that, the utility would, through their detection
11 methods, detect that they have a leak. The line -- the
12 longer of the two lines, 15 or so miles long, what the
13 procedure would be is to go to the middle of the line,
14 take the line out of service, reduce the pressure, which
15 would reduce the leak rate, the lower the pressure, the
16 lower the amount of leak from a given hole size, freeze
17 in the middle of the line, isolate the one-half versus
18 the other, then halve that, then halve again, and get
19 down to within perhaps a half a mile or so, and then
20 inject a perfluorinated tagent, which is a material that
21 is super sensitive detection down to one part in tenth to
22 the minus fourteenth or so, go above ground and sniff for
23 the presence of that material, and that would pinpoint
24 where the leak is, and the utility would excavate at that

HEARING RE: CL&P and UI
APRIL 20, 2004

1 location and repair the leak.

2 MR. BALL: And how quickly is that process
3 typically?

4 ACTING CHAIRMAN TAIT: What dog do you use
5 to do the sniff -- (laughter) -- of that concentration?

6 MR. WILLIAMS: As an aside, we actually
7 did train dogs a few years ago to sniff. And they were
8 successful even in New York City. But it's a -- it's a -
9 - it's a mass spectrometer is what you would use with a
10 special sniffer that would detect the presence of this
11 material.

12 The length of time really varies. It --
13 it's very hard to predict -- the leak rates are very low.
14 The length of -- the length of time that you would take
15 to find a leak can range from a few days to I'd have to
16 say a few months depending upon -- there have been
17 occasions where the leak rate is so small that it's just
18 taken months to find out exactly where the leak is. If
19 it's a dig-in, if someone pokes into the pipe with a hoe
20 ram or something like that, the location is immediate
21 because there's an operator right there. So it varies
22 from almost instantaneous to a length of time.

23 MR. EMERICK: Mr. Williams --

24 MR. WILLIAMS: Yes?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. EMERICK: -- do you have access to the
2 line in terms of detection methodologies at each splice
3 vault?

4 MR. WILLIAMS: The -- that is also a good
5 question. There is a technique that was developed under
6 an EPRI, Electric Power Research Institute, project
7 several years ago, that at every splice location there's
8 a special valve that is -- that can be installed -- and
9 as a matter of fact, I happened to have invented the
10 device and I'm quite proud of it -- you can insert this
11 device -- (laughter) --

12 MR. EMERICK: Then I'm glad I asked the
13 question.

14 MR. WILLIAMS: I was hoping. You -- you
15 insert this device, which is an extremely sensitive flow
16 meter, and it will look at the extremely slow leak rate
17 from one end, and then you go to the next manhole to see
18 if the leak rate goes, you know, to the right or to the
19 left. And so you can use that technique at every splice
20 location. The problem -- and the reason it's not
21 routinely applied is you have to have the line cooled
22 down because otherwise just the natural convection
23 currents of the dielectric liquid will mess up the
24 reading. So unfortunately, the line has to be out of

HEARING RE: CL&P and UI
APRIL 20, 2004

1 service for awhile before you can use it. But you're
2 right, there is a device that goes into every splice
3 location.

4 MR. EMERICK: Well, I guess beyond that, I
5 think you said you would -- if you had a leak, you would
6 start in the middle of the line and try and isolate where
7 it was --

8 MR. WILLIAMS: Yes --

9 MR. EMERICK: -- and then isolate down and
10 down --

11 MR. WILLIAMS: Yes --

12 MR. EMERICK: -- and then smaller and
13 smaller --

14 MR. WILLIAMS: Yes --

15 MR. EMERICK: -- and then eventually
16 inject a detection fluid into it and sniff it?

17 MR. WILLIAMS: Right.

18 MR. EMERICK: That's suggests to me that
19 where are you getting access other than through splice
20 vaults? I assume each splice vault has got to provide
21 some method of gaining access to the fluidized system?

22 MR. WILLIAMS: Yes. Every splice vault
23 routinely as part of normal installation has a valve on
24 top of the splice casing that you use for sampling

HEARING RE: CL&P and UI
APRIL 20, 2004

1 dielectric liquid for maintenance purposes and so forth
2 and for inserting this device that I described, and you
3 can also insert this fluid at that location. Yes --

4 MR. EMERICK: Thank you --

5 MR. WILLIAMS: -- this tagent at that
6 location.

7 MR. ZAKLUKIEWICZ: Except for a very very
8 small pinhole, Mr. Emerick, you can also just use the
9 regular common sense technique. And we've used it fairly
10 successful on the Long Island Cables. You have equal
11 pressure. You know that if the flow out of Terminal A is
12 10 gallons per minute and the flow out of Terminal B is
13 only one gallon per minute, the fault is probably much
14 closer to Terminal A. So you could break down that
15 distance appreciably by just looking at some of the flows
16 into where the leak has occurred, and it gives you a
17 better feel rather than starting at the midpoint and
18 working your way back towards one of the terminals. But
19 that -- that is another way of doing it. And the smaller
20 the leak, the longer it's going to take us to find it.
21 And the larger the leak, the vice versa of just -- just
22 by knowing what the flows are, you can get some
23 approximation as to where the leak is and start working
24 at that point where the flows appear to be, not centered

HEARING RE: CL&P and UI
APRIL 20, 2004

1 but towards one of the ends, and start working that way
2 and helping yourself out. But any -- any leak is going
3 to resolve -- result in the loss of some number of
4 gallons of fluid of the polybutene, which we said we
5 would use into the environment.

6 MR. EMERICK: Okay.

7 ACTING CHAIRMAN TAIT: Mr. Ball.

8 MR. BALL: Let me -- I'd like to ask a
9 couple of questions about the actual construction process
10 with the underground line in Segments 3 and 4. While the
11 underground portion of the line is being constructed,
12 would you expect outages on the existing circuits during
13 the construction period, assuming underground?

14 MR. ZAKLUKIEWICZ: When we say with the
15 proposed -- with the proposed 345-kV underground between
16 East Devon and Singer and Singer and Norwalk, there --
17 while that construction is taking place for the
18 transmission lines, there should be basically no impact
19 except for the substation work at East Devon and at
20 Singer and at Norwalk, but the -- and that work where you
21 would have an impact on the existing transmission
22 facilities, those impacts would be in terms of days, and
23 maybe in a few cases could be into a week or a week and a
24 half as opposed to continuous long outages into months as

HEARING RE: CL&P and UI
APRIL 20, 2004

1 a result. So, I -- I personally do not see an impact on
2 the existing 115-kV systems that are in place nor an
3 impact on the generation that is in place connected to
4 the system while we build the Segments 3 and 4 by what
5 was proposed in the application.

6 MR. ASHTON: Mr. Zak, isn't it correct
7 that ISO New England would have to give permission for
8 line outages due to construction purposes, recognizing
9 the reliability issues in the area?

10 MR. ZAKLUKIEWICZ: Absolutely. And mine
11 was just when it's built and tested. Now I'm -- now I'm
12 interconnecting and doing the final testing, that that's
13 where I was talking the days and the weeks of
14 interconnecting bus sections or bringing new line
15 positions into the new facilities at the substations.

16 MR. BALL: Now by contrast under
17 Alternatives A or B in the application, would there be a
18 problem with outages on the existing 115-kilovolt lines
19 during the construction period of the new 345 line?

20 MR. ZAKLUKIEWICZ: The impact of trying to
21 build Alternative A or Alternative B is going to be
22 enormous. And I think I testified to that at one time in
23 Docket 217. Recognize that we have -- from Hawthorne
24 west we have two of the five transmission lines which

HEARING RE: CL&P and UI
APRIL 20, 2004

1 interconnect the eastern part of the State to the
2 Norwalk/Stamford area, and that's the 1710 and 1730
3 transmission lines leaving Devon. Taking those lines out
4 of service has two impacts. No. 1, we have a substantial
5 distribution load at Hawthorne, at Old Town, and at
6 Western Sub for which you can just not remove both 115-kV
7 lines because all of that load cannot be served by any
8 other transmission that is on the system, and system
9 meaning UI and CL&P.

10 Also impacted would be the fact that, as
11 we've testified before in the need portion of this
12 docket, to get the output generation from Devon and
13 Pequonnock, they heavily rely on the transmission lines
14 both the northern route, which is the 1710 and 1730 line,
15 along with the railroad lines, of trying to equalize and
16 not overload any of those corridors to move the power
17 from the generation in Bridgeport and the generation at
18 Devon to the west.

19 My own view is that you would have to --
20 to serve the load reliably, you would have to build a --
21 construct a 115-kV underground transmission line first
22 between Hawthorne, which goes into Old Town, which goes
23 into Western, which goes down into the Norwalk area, and
24 it would either have to be one or two 115-kV underground

HEARING RE: CL&P and UI
APRIL 20, 2004

1 lines before you would then be able to take down the
2 overhead transmission lines on that northern route, which
3 goes from Devon to Hawthorne to Old Town to the Norwalk
4 area in order to perform the work. I think I've already
5 testified that to try and build a 115-kV line and a 345-
6 kV line while any part of that existing double circuit
7 line is energized would, in my mind, not be possible, and
8 that you would at minimum have to build a 115-kV line on
9 the edge of the right-of-way, the expanded right-of-way
10 in order to try and construct this new monopole with 345
11 on one side and 115-kV on the other side.

12 MR. BALL: Now this additional line that
13 you would have to build during the construction period,
14 is this a wraparound line? That's a term that you had
15 used in the application and I'm wondering if that's the
16 same thing? Specifically, I'm looking at --

17 MR. ZAKLUKIEWICZ: Yes.

18 MR. BALL: Okay. In the application in
19 Volume 1 on page H-42 there's a discussion about the
20 construction of wraparound lines -- and I'll wait for you
21 to get there, Mr. Zak -- in the section under Engineering
22 and Construction Issues there's a discussion about these
23 temporary lines.

24 MR. ZAKLUKIEWICZ: Okay, I have it.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. BALL: And I'd like to ask you about
2 one of the statements in the application, which is that
3 the additional work involved with the lines would extend
4 the construction schedule, increase costs, and cause
5 greater potential environmental impacts. And just
6 focusing on that sentence, I want to ask you to break
7 that down. First of all, the extension of the
8 construction schedule, do you -- can you elaborate on
9 that?

10 MR. ZAKLUKIEWICZ: Well even if we built a
11 temporary 115-kV line at the edge of the right-of-way,
12 trying to remove existing lattice structures with an
13 energized 115,000 volt line in close proximity to the
14 construction area is totally different construction than
15 building a line on an existing right-of-way which is de-
16 energized. So the amount of time that would be required
17 to set poles and do the foundation work when in close
18 proximity to the work going on you have energized 115,000
19 volt conductors, just slows the work down immensely. And
20 I believe I testified before to build that line leaving
21 an energized line in its place, in my mind would take
22 five years or more if I recall my testimony. And that's
23 based on the work we had done basically from the junction
24 of Route 8 to the Hawthorne area previous to this. The

HEARING RE: CL&P and UI
APRIL 20, 2004

1 amount of time it took to do that segment of line and
2 then expanding it out over the remaining miles that are
3 there, I don't think I'm too far off on my estimate.

4 MR. PRETE: I would like to just add to
5 Mr. Zak, it's probably stating the obvious, that all
6 right-of-ways are not created equal. In this area the
7 right-of-way is 80 feet in width. So consistent with Mr.
8 Zak's testimony, taking that into consideration, I think
9 is very important.

10 MR. BALL: And in light of that testimony,
11 assuming that you had to construct these lines, would
12 that change your testimony as to your expectations in
13 terms of the socialization of the costs of the project
14 and your ability to meet the 2007 deadline?

15 MR. ZAKLUKIEWICZ: I -- I think it will be
16 difficult to argue a strong case that would take existing
17 115-kV lines down for this length and putting in an
18 underground 115,000 line to serve customers that are
19 presently served from an overhead line and have those
20 costs socialized throughout New England.

21 MR. BALL: Alright. Let me continue on
22 with a couple of the other points that you made.
23 Increased costs, do you have any sense of what the
24 increased costs of the temporary lines would be?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. PRETE: As far as in amplitude, I'm
2 sure we can get that number, but the increased costs was
3 included in the overall cost estimates that we have
4 provided to the Council in the application.

5 MR. BALL: As part of Alternatives A and
6 B?

7 MR. PRETE: That's correct.

8 MR. BALL: Alright. And the last point
9 that you make is greater environmental impacts. I don't
10 know if someone on the panel would care to comment on
11 that?

12 MS. MANGO: I guess that would be me. In
13 terms of greater environmental impacts, compared for
14 example with respect to Alternative A, the use of
15 Alternative A versus the portion of the proposed route
16 that it would replace, the underground proposed route,
17 would -- Alternative A would require approximately 49 and
18 a half additional acres of easement to be acquired. And
19 we're assuming an accommodation of a 345 and a 115 on the
20 same right-of-way. All of that would have to be cleared.
21 That would be essentially the 80 feet of existing right-
22 of-way plus the -- I think it's on average about 45
23 additional feet from Hawthorne to Norwalk.

24 In addition, with respect to Alternative

HEARING RE: CL&P and UI
APRIL 20, 2004

1 A, we would have some what I will call social sort of
2 land use impacts even in the Bridgeport area where we
3 would have to traverse underground through a residential
4 street, essentially Route 59. Our proposed route doesn't
5 really traverse large areas of residential adjacent land
6 uses. So I think those social impacts of having to
7 construct through a residential area and time
8 construction, maybe take longer construction to get
9 through the residential areas, should be considered as
10 well.

11 MR. BALL: Alright. Mr. Frank will have
12 some questions on environmental issues, but let me just
13 conclude with -- and perhaps it's self-evident, but under
14 your primary proposal, which is to go underground in
15 Segments 3 and 4, I take it you would not need to
16 construct these temporary transmission lines?

17 MR. ZAKLUKIEWICZ: That -- that is
18 correct, Mr. Ball.

19 MR. BALL: Okay.

20 MR. ZAKLUKIEWICZ: In looking at some data
21 that we had, it looked like the cost of the 115-kV under-
22 grounding would be about 61 million dollars.

23 MR. BALL: Thank you. I have no further
24 questions of the panel. Mr. Frank will have some

HEARING RE: CL&P and UI
APRIL 20, 2004

1 questions on environmental issues.

2 ACTING CHAIRMAN TAIT: Mr. Frank.

3 MR. MONTE FRANK: If I may, I just want to
4 follow up on the point that was just raised. Miss Mango,
5 Mr. Zak just testified that if Alternative A or B was
6 selected, that there would be an additional 115-kV line
7 that would be built underground along the existing right-
8 of-way, right? Is that -- did I miss --

9 MR. ZAKLUKIEWICZ: The one -- the 115 line
10 would be built in city streets or state streets and not
11 on the right-of-way.

12 MR. FRANK: Okay. Okay, let me move on
13 then. With respect to planning the route for the
14 project, did the companies employ certain routing
15 objectives? That's for either Miss Mango, Mr. Prete, or
16 Mr. Zak.

17 MR. PRETE: Yes.

18 MR. FRANK: Okay. And was one of those
19 objectives to minimize adverse impacts to environmental,
20 cultural and scenic resources?

21 MR. PRETE: Yes.

22 MR. FRANK: And that includes impacts to
23 inland and tidal wetlands?

24 MR. PRETE: Yes.

HEARING RE: CL&P and UI
APRIL 20, 2004

- 1 MR. FRANK: Vernal pools?
- 2 MR. PRETE: Yes.
- 3 MR. FRANK: Steep slopes?
- 4 MR. PRETE: Yes.
- 5 MR. FRANK: Parks?
- 6 MR. PRETE: Yes.
- 7 MR. FRANK: Watercourses?
- 8 MR. PRETE: Yes.
- 9 MR. FRANK: Threatened species or species
10 of special concern and other wildlife?
- 11 MR. PRETE: Yes.
- 12 MR. FRANK: Okay. And was another
13 objective to minimize taking of private property,
14 including people's homes?
- 15 MR. PRETE: Most definitely.
- 16 MR. FRANK: And with respect to Segments 3
17 and 4 were the planning objectives met?
- 18 MR. PRETE: We believe fully with our
19 proposed line.
- 20 MR. FRANK: Now, Miss Mango, with respect
21 to Segments 3 and 4, is it your opinion that the proposed
22 underground route would result in limited environmental
23 impacts?
- 24 MS. MANGO: Yes, with respect to Segments

HEARING RE: CL&P and UI
APRIL 20, 2004

1 3 and 4.

2 MR. FRANK: And with respect to Segments 3
3 and 4, you state on page 14 of your testimony that by
4 virtue of the proposed underground alignment with an
5 existing road right-of-ways, the project will not
6 adversely affect vegetation, amphibian breeding areas, or
7 wildlife resources. Can you explain that please?

8 MS. MANGO: Yes. It's fairly self-
9 explanatory. If we're within existing developed road
10 rights-of-way, obviously we will not be affecting habitat
11 in terms of different types of vegetation, different
12 types of habitat that could be used by a variety of
13 species.

14 MR. FRANK: So in other words, whatever
15 species once used that existing road, that habitat had
16 already been impacted historically, is that the concept?

17 MS. MANGO: That would be correct.

18 MR. FRANK: And would there be any long-
19 term visual impact associated with an underground line?

20 MS. MANGO: No, other than those
21 associated with the facilities at the substations, the
22 transition stations.

23 MR. FRANK: Would there be any long-term
24 adverse effects on existing land uses or on future land

HEARING RE: CL&P and UI
APRIL 20, 2004

1 use planning from the proposed underground line?

2 MS. MANGO: No, we do not believe so.

3 MR. FRANK: Would there be any substantial
4 adverse impact to cultural resources along the
5 underground line in Segments 3 and 4?

6 MS. MANGO: No.

7 MR. FRANK: And would the underground
8 route require any taking of private property?

9 MS. MANGO: No, it would not.

10 A VOICE: (Indiscernible) -- didn't
11 include the substations --

12 MR. FRANK: Except for the substations?

13 MS. MANGO: Right. You were speaking of
14 the route I assumed --

15 MR. FRANK: Yes, I was --

16 MS. MANGO: -- as opposed to the
17 substation facilities.

18 MR. FRANK: And you state on pages 17 and
19 18 of the -- of your testimony that installation of an
20 overhead route suggested in Alternative A or B by
21 contrast would result in potentially significant adverse
22 environmental impacts. What is the basis for that
23 opinion?

24 MS. MANGO: That opinion is based on the

HEARING RE: CL&P and UI
APRIL 20, 2004

1 comparison of the portion of the proposed route with the
2 existing easements along which Alternatives A and B would
3 be aligned.

4 MR. FRANK: Can -- can you explain that
5 further?

6 MS. MANGO: Well just very generally,
7 let's talk about Alternative B, Alternative B is what we
8 call the all overhead route, and except for two miles in
9 Bridgeport between Seaview and Singer, which would be
10 underground, the rest of the route would be overhead, and
11 it would traverse along easements that have been in
12 existence for a long time, especially the eastern and
13 western portions of the route traverse large areas of
14 very densely developed residential subdivisions. And
15 especially in Stratford, Trumbull, Bridgeport and
16 Fairfield, the companies estimated that some 29 homes
17 would have to be acquired in order to install the 345-kV
18 facilities. When you compare that type of a property
19 social impact to installation within road rights-of-way
20 where none of those impacts would occur, we felt that
21 that constituted a significant comparative impact.

22 Alternative A does not require the taking
23 of any homes, but also would be installed on narrow
24 rights-of-way. As you've heard here already today, it

HEARING RE: CL&P and UI
APRIL 20, 2004

1 would potentially require taking the 115-kV lines that
2 exist there now either out of service, which would not be
3 allowed, or placing them somewhere else, increasing your
4 construction, so you'd actually -- if that were to occur
5 for example, placing the 115 underground, you'd have a
6 set of social impacts where you would have to install the
7 115 under roads. I'm not sure where those roads would
8 be, there's not a direct line from Hawthorne to Norwalk.
9 And all the roads are basically small two-lane roads.
10 So installing a cable within those roads would be very --
11 I think it would be difficult, although others from an
12 engineering viewpoint could probably speak to that. And
13 then by the same token, you would have to install your
14 345-kV on the existing right-of-way, which based on a
15 visual examination of that right-of-way does not have
16 existing access roads as a number of homes that have been
17 developed over the last -- it looks like perhaps
18 recently, certainly within the last 10 to 20 years that
19 are close to the line -- and it would involve the removal
20 of virtually 40 -- all 49 acres would be forested, so you
21 would be not losing habitat, but certainly converting
22 forested habitat to shrub land type habitat.

23 MR. FRANK: And by converting the 49 acres
24 from predominantly forestland to shrub like habitats,

HEARING RE: CL&P and UI
APRIL 20, 2004

1 what sort of impact would that have on the existing
2 habitats that are there?

3 MS. MANGO: Well, it would modify those
4 habitats. It would not cause a loss of habitat. It
5 would just be a shift in habitat. We could go into the
6 edge effect and, you know, existing -- the effects of
7 existing rights-of-way ad naseum, but I'm not sure that I
8 could say that that would be necessarily a bad impact in
9 terms of wildlife habitat because it would increase
10 diversity. From a land use point of view in terms of
11 removing the woodlands, the wooded areas that exist there
12 as buffers, that would be a negative, like a social
13 negative impact.

14 MR. FRANK: You state on page 20 of your
15 testimony that impacts to birds and wildlife in general
16 would be considerably greater along the alternative route
17 than along the proposed route?

18 MS. MANGO: Absolutely true because there
19 would be no impacts to birds and wildlife along the
20 proposed route.

21 MR. FRANK: And alternatively there would
22 be some impact to birds and wildlife?

23 MS. MANGO: There would be some impact,
24 there would be a modification.

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. FRANK: Okay. And there would also be
2 crossings of 49 wetlands with respect to Alternatives A
3 and B as opposed to the proposed route?

4 MS. MANGO: I think there would be 49
5 wetland crossed in some manner, shape, or form. They
6 could be spanned along Alternative A. And 85 crossed on
7 Alternative B.

8 MR. FRANK: Okay. And you state on page
9 20 also of your testimony that Alternative A would result
10 in four more miles of overhead transmission line than the
11 proposed route. And then in the errata sheet or changes
12 to the record that the company filed on April 2, 2004,
13 the Applicant states that Alternative A would result in
14 15 more miles of overhead transmission line than the
15 proposed route. I don't know if this is a question for
16 Miss Mango or Mr. Zak, but am I correct to assume that
17 the errata sheet is correct, that is that Alternate A --
18 Alternative A would result in 15 more miles of overhead
19 transmission line than the proposed route?

20 A VOICE: That's true --

21 MR. FRANK: That's on page A --

22 MS. MANGO: That's true --

23 MR. FRANK: -- A-33 of the errata sheet --

24 MS. MANGO: That's for the entire -- you

HEARING RE: CL&P and UI
APRIL 20, 2004

1 know, if you look at the entire route. Alternative A is
2 a total of 73 miles from Scovill Rock to Norwalk and has
3 13 miles of underground and 60 miles of overhead. The
4 proposed route has something like 23 miles of underground
5 out of a total of 68.5 miles. So that's where that 15
6 miles of differential comes in.

7 MR. FRANK: Okay. So the 15 more miles of
8 overhead transmission lines is the --

9 MS. MANGO: Correct --

10 MR. FRANK: -- correct additional --

11 MS. MANGO: Yes --

12 MR. FRANK: -- miles of transmission line
13 rather than the four miles?

14 MS. MANGO: The -- yeah. The four miles
15 compares just Segments 3 and 4, I think. So there's a
16 little difference as to what you're comparing -- does it
17 not?

18 MR. FRANK: And how -- how does that
19 factor into your opinion that with respect to Segments 3
20 and 4, if it does, Alternative A would result in more
21 adverse environmental impacts than the proposed
22 underground installation?

23 MS. MANGO: I think just in general,
24 although -- it's a general statement, obviously it would

HEARING RE: CL&P and UI
APRIL 20, 2004

1 depend on site specific conditions -- but in general, if
2 you have a linear project and you have one option that
3 will take you on a shorter route with fewer environmental
4 impacts and an option that is longer that would result
5 through construction in various habitats, your longer
6 route would result in comparatively greater environmental
7 -- you know, environmental impacts both to the natural
8 and the manmade environment in general.

9 MR. FRANK: And generally speaking, an
10 underground line would result in fewer environmental
11 impacts than an overhead line where you had to expand
12 right-of-ways?

13 MS. MANGO: Well, for the --

14 A VOICE: If it's in the streets --

15 MS. MANGO: -- for the proposed route that
16 we're speaking about. I couldn't -- I couldn't say that
17 that would be a blanket statement.

18 MR. FRANK: Under public roads?

19 MS. MANGO: Under public roads for these
20 segments that we're comparing here today.

21 MR. FRANK: Okay. And from an
22 environmental standpoint is it your opinion that the
23 proposed underground route is superior to either
24 Alternative A or B?

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MS. MANGO: From my very parochial
2 environmental standpoint, comparing simply Segments 3 and
3 4 with the proposed route, I would say yes.

4 MR. FRANK: Okay.

5 MR. ZAKLUKIEWICZ: Maybe I can help
6 clarify that -- maybe I can help clarify the four miles
7 and fifteen miles. I think in -- on page 20, Alternative
8 A has four more miles of the overall length, not
9 overhead, but the overall length increases by four miles,
10 not the overhead piece --

11 MR. FRANK: Right --

12 MR. ZAKLUKIEWICZ: -- okay, as opposed to
13 interpreting it that an additional four miles of
14 transmission lines would have to be constructed, that is
15 correct. The overall length of the entire proposal goes
16 from 69 miles to 73 miles. That's the four additional
17 miles, not four overhead miles, overhead --

18 MR. FRANK: I just want to be clear, so --

19 MR. ZAKLUKIEWICZ: Okay, it's -- the
20 overall length of the total route from Middletown to
21 Norwalk increases by four miles.

22 MR. FRANK: So the total of the entire
23 line is four more miles --

24 MR. ZAKLUKIEWICZ: That's correct --

HEARING RE: CL&P and UI
APRIL 20, 2004

1 MR. FRANK: -- but the --

2 MR. ZAKLUKIEWICZ: -- it goes from 69 to
3 73.

4 MR. FRANK: But the amount of overhead
5 transmission line is 15?

6 A VOICE: Correct.

7 MR. ZAKLUKIEWICZ: Correct.

8 MR. FRANK: Okay. I have nothing else.

9 ACTING CHAIRMAN TAIT: Okay. Mr.
10 Cederbaum.

11 MR. CEDERBAUM: Thank you. Eugene
12 Cederbaum, representing the Town of Westport. Thank you
13 very much -- (indiscernible) --

14 COURT REPORTER: Wait --

15 MR. CEDERBAUM: I beg your pardon?

16 COURT REPORTER: Start that again in front
17 of a mic --

18 MR. CEDERBAUM: Eugene Cederbaum here for
19 the Town of Westport. With me is Ira Bloom, town
20 counsel.

21 I'd like to clarify, if I may, one
22 question that came up in the prehearing conference.
23 There was a submission under a letter from Mr. Bloom to
24 Chairman Katz, which contained certain exhibits, a

HEARING RE: CL&P and UI
APRIL 20, 2004

1 resolution of the RTM -- the Westport RTM, a letter from
2 the Conservation Director of the Town of Westport, and a
3 letter from the Director of Planning from the Town of
4 Westport, which is part of the record, but technically I
5 think will constitute a limited appearance since the
6 authors of those documents are not with you today.

7 ACTING CHAIRMAN TAIT: We will accept them
8 as a limited appearance --

9 MR. CEDERBAUM: Thank you very much, sir -
10 -

11 ACTING CHAIRMAN TAIT: -- assuming there's
12 no objection. Hearing none.

13 MR. CEDERBAUM: Thank you.

14 (Whereupon, the Town of Westport Exhibit
15 No. 1 was received into evidence as a full exhibit.)

16 MR. CEDERBAUM: I'd like to say that the
17 advantage of coming before a hearing like this at a
18 quarter to 4:00 is that you've gotten the lay of the
19 land, which is always -- lawyers are always comforted by
20 that. And the disadvantage is that all of your best
21 questions have already been asked and answered. So, I
22 will do my best not to re-ask them even though I can do
23 them better than anyone who has done them -- (laughter).

24 I would like to -- and in that vein -- and

HEARING RE: CL&P and UI
APRIL 20, 2004

1 Mr. Chairman, if I -- if I -- if I don't do that, please
2 let me know. In that vein though, I would like to
3 address a particular concern of Westport, and that had to
4 do with the modification of the proposed route in -- just
5 before we reach the center of town, the proposed route
6 had directed the cable to pass through, without getting
7 to geographical here, a residential area -- a historical
8 area of town. The town -- as a matter of fact, that's
9 part of these exhibits. The town had some concern about
10 that. And in working with the Applicant, that limited
11 portion of the route was redirected. And it's that
12 portion of the redirection that I'd like to address
13 questions to the panel, because it passes through an area
14 that is either part of or adjacent to a former landfill
15 on which now sits a library, which hasn't disappeared
16 from site since it's construction, and an open-air
17 theatre known as the Leavitt Pavillion. So our public
18 library is on what was the primary portion of that
19 landfill, and also the Leavitt Pavilion is to the south
20 of the library --

21 ACTING CHAIRMAN TAIT: Still on the
22 landfill?

23 MR. CEDERBAUM: A portion of it I believe
24 was on the landfill, and here's where I get a little hazy