

ORIGINAL

STATE OF CONNECTICUT

SITING COUNCIL


* * * * *

CONNECTICUT LIGHT & POWER COMPANY
AND UNITED ILLUMINATING COMPANY

APRIL 21, 2004
(10:00 A.M.)

APPLICATION FOR A CERTIFICATE OF
ENVIRONMENTAL COMPATIBILITY AND
PUBLIC NEED FOR THE CONSTRUCTION
OF A NEW 345-kV ELECTRIC
TRANSMISSION LINE AND ASSOCIATED
FACILITIES BETWEEN THE SCOVILL ROCK
SWITCHING STATION IN MIDDLETOWN
AND THE NORWALK SUBSTATION IN
NORWALK, CONNECTICUT

DOCKET NO. 272



* * * * *

BEFORE: PAMELA B. KATZ, CHAIRMAN

BOARD MEMBERS: Colin C. Tait, Vice Chairman
Brian Emerick, DEP Designee
Gerald J. Heffernan, DPUC Designee
Daniel P. Lynch, Jr.
Edward S. Wilensky
Philip T. Ashton
Brian O'Neill
James J. Murphy, Jr.



STAFF MEMBERS: S. Derek Phelps, Executive Director
Robert Erling, Senior Siting Analyst
Fred O. Cunliffe, Siting Analyst
John Haines, AAG

APPEARANCES:

FOR THE APPLICANT, CONNECTICUT LIGHT & POWER
COMPANY:

CARMODY & TORRANCE, LLP
195 Church Street
P.O. Box 1950
New Haven, Connecticut
BY: ANTHONY M. FITZGERALD, ESQUIRE
BRIAN T. HENEERY, ESQUIRE

FOR THE APPLICANT, UNITED ILLUMINATING COMPANY:

WIGGIN & DANA, LLP
One Century Tower
P.O. Box 1832
New Haven, Connecticut 06508-1832
BY: LINDA L. RANDELL, ATTORNEY
BRUCE L. McDERMOTT, ESQUIRE

FOR THE PARTY, THE CITY OF MERIDEN:

DEBORAH L. MOORE, ATTORNEY
142 East Main Street
Room 239
Meriden, Connecticut 06450

FOR THE PARTIES, THE TOWN OF WESTON AND
THE TOWN OF WOODBRIDGE:

COHEN & WOLF
1115 Broad Street
Bridgeport, Connecticut 06604
BY: DAVID BALL, ESQUIRE

FOR THE PARTY, THE TOWN OF MILFORD:

HURWITZ & SAGARIN
147 North Broad Street
Box 112
Milford, Connecticut 06460
By: JULIE DONALDSON KOHLER, ATTORNEY

FOR THE PARTIES, THE TOWN OF WALLINGFORD AND
THE TOWN OF DURHAM:

HALLORAN & SAGE
One Goodwin Square
225 Asylum Street
Hartford, Connecticut 06103
BY: PETER BOUCHER, ESQUIRE

FOR THE PARTY, THE TOWN OF ORANGE:

SOUSA, STONE & D'AGOSTO
375 Bridgeport Avenue
Box 805
Shelton, Connecticut 06084
BY: BRIAN M. STONE, ESQUIRE

POST REPORTING SERVICE
HAMDEN, CT (800) 262-4102

FOR THE PARTY, THE TOWN OF WILTON:

COHEN & WOLF
158 Deer Hill Avenue
Danbury, Connecticut 06810
BY: MONTE E. FRANK, ESQUIRE

FOR THE PARTY, ATTORNEY GENERAL BLUMENTHAL:

MICHAEL WERTHEIMER
Assistant Attorney General
Ten Franklin Square
New Britain, Connecticut 06051

FOR THE PARTY, THE OFFICE OF CONSUMER COUNSEL:

BRUCE C. JOHNSON, ESQUIRE
Office of Consumer Counsel
Ten Franklin Square
New Britain, Connecticut 06051

FOR THE PARTY, THE TOWN OF NORTH HAVEN:

UPDIKE, KELLY & SPELLACY
One State Street
Box 231277
Hartford, Connecticut 06123
BY: BENJAMIN J. BERGER, ESQUIRE

FOR THE PARTY, THE WOODLANDS COALITION FOR
RESPONSIBLE ENERGY:

PULLMAN & COMLEY
90 State House Square
Hartford, Connecticut 06103
BY: LAWRENCE J. GOLDEN, ESQUIRE

FOR THE PARTY, PSEG POWER CONNECTICUT LLC:

MCCARTER & ENGLISH
Cityplace I
185 Asylum Street
Hartford, Connecticut 06103
BY: DAVID REIF, ESQUIRE
JANE K. WARREN, ATTORNEY
JOEL B. CASEY, ESQUIRE

FOR THE INTERVENOR, ISO NEW ENGLAND:

WHITMAN, BREED, ABBOTT & MORGAN
100 Field Point Road
Greenwich, Connecticut 06830
BY: ANTHONY MacLEOD, ESQUIRE

FOR THE INTERVENOR, WOODBRIDGE JEWISH
ORGANIZATIONS:

BRENNER, SALTZMAN & WALLMAN
271 Whitney Avenue
New Haven, Connecticut 06511
BY: DAVID R. SCHAEFER, ESQUIRE

FOR THE INTERVENOR CONNECTICUT BUSINESS & INDUSTRY
ASSOCIATION:

ROBERT E. EARLEY, ESQUIRE
350 Church Street
Hartford, Connecticut 06103

FOR THE INTERVENOR, THE CONNECTICUT DEPARTMENT OF
TRANSPORTATION:

CHARLES W. WALSH, III, AAG
EILEEN MESKILL, AAG
Office of the Attorney General
55 Elm Street
Hartford, Connecticut 06106

FOR THE PARTY, THE TOWN OF WESTPORT:

WAKE, SEE, DIMES & BRYNICZKA
27 Imperial Avenue
Westport, Connecticut 06880
BY: EUGENE E. CEDERBAUM, ESQUIRE

FOR THE PARTY, SOUTH CENTRAL CONNECTICUT WATER
AUTHORITY:

MURTHA CULLINA LLP
Cityplace I
185 Asylum Street
Hartford, Connecticut 06103
BY: ANDREW W. LORD, ESQUIRE

POST REPORTING SERVICE
HAMDEN, CT (800) 262-4102

FOR THE PARTY, THE CITY OF NORWALK:
LOUIS CICCARELLO, ESQUIRE
Corp. Counsel

FOR THE PARTY, THE TOWN OF CHESHIRE:
RICHARD J. BURTURLA, ESQUIRE

FOR THE PARTY, THE CITY OF MIDDLETOWN:
TIMOTHY P. LYNCH, ESQUIRE

FOR THE PARTY, THE TOWN OF MIDDLEFIELD:
BRANSE & WILLIS, LLC
ERIC KNAPP, ESQUIRE

FOR THE PARTY, THE CITY OF BRIDGEPORT:
MELANIE J. HOWLETT, ESQUIRE

FOR THE PARTY, COMMUNITIES FOR RESPONSIBLE ENERGY:
TRISH BRADLEY

A PARTY, THE TOWN OF EASTON

A PARTY, THE TOWN OF BETHANY

A PARTY, THE TOWN OF HAMDEN

AN INTERVENOR, THE TOWN OF FAIRFIELD

AN INTERVENOR, THE FIRST DISTRICT WATER COMPANY

AN INTERVENOR, NORWALK ASSOCIATION OF SILVERMINE
HOMEOWNERS

A PARTY, ROBERT W. MEGNA, STATE REP. 97th DISTRICT

AN INTERVENOR, MARY G. FRITZ, STATE REP. 90th
DISTRICT

AN INTERVENOR, AL ADINOLFI, STATE REP. 103rd
DISTRICT

AN INTERVENOR, RAYMOND KALINOWSKI, STATE REP. 100th
DISTRICT

AN INTERVENOR, THEMIS KLARIDES, STATE REP. 114th
DISTRICT

AN INTERVENOR, JOHN E. STRIPP, STATE REP. 135th
DISTRICT

AN INTERVENOR, WILLIAM ANISKOVICH, STATE REP.
12th SEN. DISTRICT

AN INTERVENOR, JOSEPH CRISCO, JR., STATE REP.
17th SEN. DISTRICT

AN INTERVENOR, LEONARD FASANO, STATE REP.
34th SEN. DISTRICT

HEARING RE: CL&P and UI
APRIL 21, 2004

1 . . .Verbatim proceedings of a hearing
2 before the State of Connecticut Siting Council in the
3 matter of an application by Connecticut Light & Power
4 Company and United Illuminating Company, held at Central
5 Connecticut State University Institute of Technology &
6 Business, 185 Main Street, New Britain, Connecticut, on
7 April 21, 2004 at 10:00 a.m., at which time the parties
8 were represented as hereinbefore set forth . . .

9
10
11 CHAIRMAN PAMELA B. KATZ: I call this
12 hearing to order. This is a continuation of the hearing
13 for Docket 272.

14 At this part in the hearing, I'd like to
15 ask Mr. Fitzgerald and Miss Randell to identify your new
16 witnesses, and we will ask that they be sworn by the
17 Assistant Attorney General.

18 MR. ANTHONY M. FITZGERALD: Thank you. At
19 the far end of the table, that is the end furthest away
20 from me are two new witnesses who will speak to the
21 issues concerning -- if any, concerning the polybutene
22 insulating fluid. At the end of the table is Marie
23 BenKinney from Exponent. And next to her is Wesley
24 Kegerise from Okonite, who has testified once before

HEARING RE: CL&P and UI
APRIL 21, 2004

1 here.

2 CHAIRMAN KATZ: Excuse me. Can everyone
3 in the back of the room hear Mr. Fitzgerald? No? I'm
4 going to ask you to lean in a little bit, Mr. Fitzgerald.

5 MR. FITZGERALD: Okay. And I would like
6 to offer as exhibits the resumes of each -- of Miss
7 BenKinney and Mr. Kegerise.

8 CHAIRMAN KATZ: Okay. First, why don't we
9 get them sworn in and then we'll have them adopt their
10 prefilled --

11 COURT REPORTER: Before they're sworn, can
12 they put their names on the record and spell it.

13 CHAIRMAN KATZ: Yes. Why don't we do that
14 first. While you're near the microphone, please give
15 your name and spell it please.

16 MS. MARIE BENKINNEY: Okay. My name is
17 Marie BenKinney. The first name is Marie, M-a-r-i-e.
18 The last name is B as in boy, e-n-K-i-n-n-e-y.

19 MR. WESLEY KEGERISE: Wesley, W-e-s-l-e-y,
20 Kegerise, K-e-g-e-r-i-s-e.

21 COURT REPORTER: Madam Chair, do you want
22 their addresses on the record?

23 CHAIRMAN KATZ: Yeah, it's probably a good
24 idea. If you could give an address.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MS. BENKINNEY: Yeah. My business address
2 is 21 Strathmore Road, S-t-r-a-t-h-m-o-r-e, Road, in
3 Natick, Massachusetts. Natick, N-a-t-i-c-k. Zip 01760.

4 MR. KEGERISE: My home address is 305
5 Fieldstone Terrace, Wickoff, W-i-c-k-o-f-f, New Jersey,
6 07481.

7 CHAIRMAN KATZ: For completeness we ask
8 for your address, but as the former chairman used to like
9 to remind us we can hunt you down in either case.

10 Okay, at this time, Mr. Fitzgerald, why
11 don't we have them --

12 COURT REPORTER: They haven't been sworn,
13 Madam --

14 CHAIRMAN KATZ: Oh, yes, I'm sorry.

15 MR. JOHN HAINES: Do you want me to do
16 that? Would you stand and raise your right hand please.

17 (Whereupon, Marie BenKinney and Wesley
18 Kegerise were duly sworn in.)

19 MR. HAINES: Thank you.

20 CHAIRMAN KATZ: At this point why don't we
21 have them verify their prefiled.

22 MR. FITZGERALD: Thank you. There's no
23 prefiled testimony from them --

24 CHAIRMAN KATZ: Well their -- their --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 they're going to adopt their --

2 MR. FITZGERALD: -- but we have their
3 resumes, yes. Mr. Cunliffe, could you give me an exhibit
4 number?

5 MR. FRED O. CUNLIFFE: Sixty-one.

6 MR. FITZGERALD: Sixty-one. So let's make
7 Miss BenKinney's CV Exhibit 61 and Mr. Kegerise's Exhibit
8 62.

9 Miss BenKinney, Exhibit 61 is a curriculum
10 vitae or resume that you have provided to us. Is the
11 information in it true and correct to the best of your
12 knowledge?

13 MS. BENKINNEY: Yes, it is.

14 MR. FITZGERALD: And Mr. Kegerise, Exhibit
15 62 is your CV. Is that information true and correct to
16 the best of your knowledge?

17 MR. KEGERISE: Yes.

18 MR. FITZGERALD: Thank you. I will -- we
19 will file and serve the resumes in the usual way. In the
20 meantime, I have multiple copies here for anyone who --

21 A VOICE: Tony, give those to the Council
22 and I'll put these over here --

23 MR. FITZGERALD: Okay, fine. Here are --
24 here are copies for the Council. We have other copies --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 (indiscernible, walked away from mic) -- left on the
2 table for people who --

3 CHAIRMAN KATZ: Mr. Fitzgerald, I get
4 yelled at if you talk away from the microphone --
5 (laughter).

6 MR. FITZGERALD: Okay. We have handed up
7 copies to the Council. Mr. McDermott is leaving copies
8 for other people who are interested on the table over
9 there. We will also file and serve.

10 CHAIRMAN KATZ: Thank you. Is there any
11 objection to making 61 and 62 full exhibits? Hearing
12 none, we will make them full exhibits.

13 (Whereupon, Applicant Exhibit No. 61 and
14 No. 62 were received into evidence as full exhibits.)

15 CHAIRMAN KATZ: At this point is there any
16 procedural matters before we have these witnesses cross-
17 examined, otherwise I will start in on the list? Okay,
18 I'll take that as a yes. First is State Representative
19 Al Adinolfi. Let the record show not present. Next is
20 the Towns, Wallingford, Durham -- Mr. Ball, are you
21 representing this group?

22 MR. DAVID BALL: Yeah. No questions.

23 CHAIRMAN KATZ: Mr. Ball said no
24 questions. The City of Norwalk? Let the record show not

HEARING RE: CL&P and UI
APRIL 21, 2004

1 present. Mr. Cederbaum, questions for these witnesses?

2 MR. EUGENE CEDERBAUM: No, thank you.

3 CHAIRMAN KATZ: Mr. Cederbaum said no
4 questions. The City of Meriden, Attorney Moore? Let the
5 record show not present. Assistant Attorney General
6 Michael Wertheimer, do you have questions for these
7 witnesses?

8 MR. MICHAEL WERTHEIMER: No, thank you.

9 CHAIRMAN KATZ: Mr. Wertheimer said no
10 questions. Communities for Responsible Energy? Let the
11 record show not present. OCC, Mr. Johnson? Let the
12 record show not present. Woodlands Coalition? Mr.
13 Golden, do you have questions for these witnesses?

14 MR. LAWRENCE GOLDEN: No questions.

15 CHAIRMAN KATZ: Mr. Golden said no
16 questions. ISO New England, Mr. MacLeod? Let the record
17 show not present. I'm going to go back on the list.
18 Mayor Knopp, I was wondering -- I wanted to give you an
19 opportunity if you wanted to cross-examine these
20 witnesses?

21 MAYOR KNOPP: No, thank you, Mr. Chairman.

22 CHAIRMAN KATZ: Mayor Knopp said no. DOT,
23 Mr. Walsh, questions -- oh, Miss Meskill -- questions for
24 these witnesses?

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MS. EILEEN MESKILL: I have a couple of
2 questions if I may.

3 CHAIRMAN KATZ: Yes, please. We'll get
4 you a seat and -- (pause) -- if you could just start off
5 identifying yourself for the record.

6 MS. MESKILL: Assistant Attorney General
7 Eileen Meskill, representing the Department of
8 Transportation.

9 Actually as a procedural matter, I know
10 yesterday there was a request I think to enter the MSDS
11 sheet into the record. Has that been done?

12 CHAIRMAN KATZ: We -- we can do that --
13 right?

14 MS. MESKILL: Okay.

15 CHAIRMAN KATZ: Why don't we at this point
16 do that and -- do you want to just have your witnesses
17 verify that that's -- it is what it is.

18 MR. FITZGERALD: Is this -- is this
19 Exhibit 63, Mr. Cunliffe?

20 MR. CUNLIFFE: That's correct.

21 MR. FITZGERALD: Mr. Kegerise, I show you
22 Exhibit 63, can you identify it please?

23 MR. KEGERISE: Yes. That's -- that's the
24 current MSDS for polybutene fluid -- pipe fluid.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: Please try to keep your
2 voice up.

3 MR. FITZGERALD: Just say it again please.

4 MR. KEGERISE: Yes. This is -- this is
5 the current MSDS for the pipe filling fluid.

6 CHAIRMAN KATZ: Is there any objection to
7 making that a full exhibit? Hearing none, we will make
8 that No. 63.

9 (Whereupon, Applicants' Exhibit No. 63 was
10 received into evidence as a full exhibit.)

11 CHAIRMAN KATZ: And Miss Meskill, you have
12 a copy now?

13 MS. MESKILL: Yes, I do. And actually
14 this does answer some of my questions, but -- so I'll be
15 very brief.

16 Looking at the MSDS sheet on Section 4,
17 Flammability, I assume this to mean that this fluid or
18 this liquid is flammable?

19 MR. KEGERISE: That's correct.

20 CHAIRMAN KATZ: Just for the record could
21 you put the flash point into the record.

22 MR. KEGERISE: Based on the MSDS, it's 135
23 degrees centigrade.

24 CHAIRMAN KATZ: Okay.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MS. MESKILL: Can you tell me whether or
2 not there are any toxic gases that can emit from this gas
3 if it were ignited?

4 MR. KEGERISE: Based on the -- where you
5 had complete combustion, it basically breaks down to CO2
6 and water. If you have incomplete combustion, it's like
7 other pure hydrocarbons, they would break down to carbon
8 monoxide, but I would think in a -- you know, in the
9 outdoors it would essentially break down to carbon
10 dioxide and water.

11 MS. MESKILL: Okay, thank you. I have no
12 further questions.

13 CHAIRMAN KATZ: Thank you.

14 MR. PHILIP T. ASHTON: Mr. Kegerise, it
15 does mention on this MTST -- M --

16 CHAIRMAN KATZ: MSDS --

17 MR. ASHTON: Say which?

18 CHAIRMAN KATZ: MSDS.

19 MR. ASHTON: Thank you. MSDS --

20 MR. COLIN C. TAIT: Exhibit 63 for you.

21 MR. ASHTON: Yeah, I know. Under
22 hazardous -- right at the bottom of page -- the first
23 page, it says hazardous combustion products, CO, CO2 and
24 smoke. What's the hazardous product in smoke?

HEARING RE: CL&P and UI
APRIL 21, 2004

1 Obviously, it has a broad interpretation.

2 MR. KEGERISE: It would be incomplete
3 combustion of the fluid would make the smoke, and it
4 would be particulate --

5 MR. ASHTON: Okay --

6 MR. KEGERISE: -- you know, sort of like
7 cigarette smoke, you --

8 MR. ASHTON: Okay.

9 CHAIRMAN KATZ: In -- it looks like this
10 was developed in the U.K. this MSDS. But in terms
11 commonly understood in the United States, this is really
12 combustible and not flammable, correct?

13 MR. KEGERISE: Well, you start with
14 combustion and you end up with flammability, but I think
15 the ratings on the -- the ratings on the fluid -- on the
16 MSDS are such that -- you know, in common practice it's
17 not -- you have to have basically a vapor to ignite it
18 with an open flame, which is you've got to get to the
19 135c flash point.

20 CHAIRMAN KATZ: Thank you. Okay, thank
21 you. Next on the list is -- Mr. Reif, any questions for
22 these witnesses?

23 MR. DAVID REIF: No, Madam Chairman.

24 CHAIRMAN KATZ: Mr. Reif said no

HEARING RE: CL&P and UI
APRIL 21, 2004

1 questions. Mr. Lord, questions for these witnesses?
2 Before you start, I just want to clarify. I understand
3 the following parties are not represented here today, the
4 Town of Cheshire, the City of Middletown, the Town of
5 North Haven. Am I correct? If you're here, please
6 indicate, otherwise I'm not going to call on you. Thank
7 you. They indicated they're not present. Go ahead, Mr.
8 Lord.

9 MR. ANDREW LORD: Good morning. For the
10 record my name is Andrew Lord. I'm here today on behalf
11 of the South Central Connecticut Regional Water
12 Authority.

13 I haven't had the opportunity to review
14 your qualifications. I was wondering if you could each
15 prepare a brief summary of your experience in evaluating
16 the effects of polybutene in the environment?

17 MR. KEGERISE: I'm --

18 MR. LORD: Or your familiarity with the
19 compound polybutene?

20 MR. KEGERISE: I'm familiar with
21 polybutene, the base is the manufacturer of high pressure
22 fluid filled cables. I really don't have any experience
23 or expertise to comment on the toxicological effects.

24 MS. BENKINNEY: I'm an ecotoxicologist by

HEARING RE: CL&P and UI
APRIL 21, 2004

1 training and have about 22 years of experience working on
2 ecotoxicology. I came out of Mobile Oil Corporation with
3 15 years of experience working on petroleum type
4 materials, hydrocarbons. And everything from aquatic
5 toxicity to biodegradation to its behavior on a chemical
6 perspective.

7 MR. LORD: Thank you. Would either of
8 you, as appropriate, describe the physical
9 characteristics of polybutene?

10 MR. KEGERISE: It's -- it's basically a
11 fluid. It's a polymer, it's a synthetic polymer. The
12 characteristics are very similar to olive oil or mineral
13 oil, baby oil, in terms of the pipe filling fluid, that
14 sort of viscosity. It's, you know, odorless, colorless,
15 and tasteless.

16 MR. LORD: And how about its solubility in
17 water?

18 MR. KEGERISE: Virtually -- virtually
19 insoluble.

20 MR. LORD: And in the environment does it
21 break down by oxidation or by photo-degradation?

22 MR. KEGERISE: Photo-degradation I would
23 say. Marie, you might --

24 MS. BENKINNEY: It will degrade -- it will

HEARING RE: CL&P and UI
APRIL 21, 2004

1 degrade slowly, but it will degrade by bacteria by
2 biological degradation. Slowly -- the bacteria when they
3 get to the double bonds, it takes a little longer. So
4 they -- they rapidly degrade the single bonds. And when
5 they get to the double bonds, it takes a little longer,
6 so the fluid lasts on the order of weeks to months in the
7 environment depending on conditions.

8 MR. LORD: Does it matter if it's an
9 aerobic or an anti-aerobic environment?

10 MS. BENKINNEY: It's going to go faster in
11 aerobic conditions than it would under anti-aerobic
12 conditions.

13 MR. LORD: Thank you.

14 CHAIRMAN KATZ: If it's built into a
15 waterway, you said it was insoluble in water, so would
16 you clean it up like an oil spill?

17 MS. BENKINNEY: It will -- it will be --
18 it's very insoluble in water. An oil spill you actually
19 have soluble components that go into the water. So it's
20 going to be much less soluble, much more of a floating
21 layer than you would see in oil where you would see that
22 mixed layer between oil and the water. So it would be a
23 floating material. You could corral it and clean it up
24 with solvent booms and stuff like that very readily.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: So it might be easier to
2 clean up than an oil spill?

3 MS. BENKINNEY: Yes, it should be much
4 easier to clean up than an oil spill.

5 MR. BRIAN O'NEILL: Perhaps we could get
6 to -- perhaps we could get to a specific instance where
7 there has been a spill and how it has been remediated.
8 Have there been any major spills, let's say in excess of
9 a thousand gallons of this fluid? And how was that
10 addressed?

11 MS. BENKINNEY: I don't know of any spills
12 per say that have been cleaned up. But from looking at
13 the applications of where this material will be used,
14 it's likely to be spilled in the soil. And because it
15 has very high soil absorption coefficient and very slow
16 movement with water because it's not readily admissible
17 with water, the material is going to stay in the vicinity
18 of where the release would have occurred, so you would
19 see it in the vicinity of the underground area where the
20 pipes were, very very slow movement anywhere beyond that.

21 CHAIRMAN KATZ: But just -- if it's under
22 a street and there are also storm drains under a street,
23 the preferential pathway may be to go through the soil to
24 the storm drain, through the storm drain and out,

HEARING RE: CL&P and UI
APRIL 21, 2004

1 correct?

2 MS. BENKINNEY: That would be correct once
3 it gets through the soil. It would be the migrating
4 through the soil that would take the very long time.

5 CHAIRMAN KATZ: Thank you.

6 MR. LORD: Were you involved in the
7 preparation of the responses to the Regional Water
8 Authority's interrogatories regarding polybutene?

9 MR. KEGERISE: I was not.

10 MR. LORD: Are you familiar with those
11 responses?

12 MR. KEGERISE: Yes, I am.

13 MR. LORD: Okay.

14 MS. BENKINNEY: And I am as well.

15 CHAIRMAN KATZ: Do we have another witness
16 that we'd like to have answer your questions on this?

17 MR. LORD: Yeah, as appropriate any --

18 MR. FITZGERALD: I -- I think --

19 MS. BENKINNEY: Were those the ones that I
20 just looked at --

21 MR. FITZGERALD: -- maybe they need to see
22 the document --

23 MS. BENKINNEY: I was involved in
24 preparing those interrogatories.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: Do you need -- do you need
2 a moment to review?

3 MS. BENKINNEY: No, I'm good.

4 CHAIRMAN KATZ: Okay.

5 MR. LORD: In response to the first
6 interrogatory, the response indicates that you relied on
7 a material safety datasheet. Who prepared the material
8 safety datasheet?

9 MR. KEGERISE: It was prepared by the
10 manufacturer of the fluid, B.P. Global.

11 MR. LORD: And are -- is the information
12 contained on the material safety datasheet based on any
13 particular studies or where does the information on the
14 MSDS sheet originate?

15 MR. KEGERISE: From the manufacturer.

16 MR. LORD: And do they perform studies on
17 the toxicity or the characteristics of the material in
18 the environment?

19 MR. KEGERISE: Only to the extent of the
20 requirements of the MSD sheet -- MSDS sheet.

21 MR. LORD: And can you elaborate on what
22 those requirements for the material safety datasheets
23 might be?

24 MS. BENKINNEY: There are specific

HEARING RE: CL&P and UI
APRIL 21, 2004

1 categories that are required to be addressed on a
2 material safety datasheet that talk about its physical,
3 chemical properties, its toxicity properties, and its
4 environmental properties. Not knowing specifically this
5 manufacturer, but in general companies either generate
6 that information themselves or they pull that information
7 out of the literature of studies that have been conducted
8 by others, either in an academic institution or in other
9 cases by other industry folks.

10 MR. LORD: But no particular studies are
11 performed by that manufacturer in preparing the material
12 safety datasheet?

13 MS. BENKINNEY: It depends on the company.
14 Some companies, their material safety datasheets are
15 their own data and it's information they've generated in-
16 house. Other companies don't have those capabilities or
17 have those resources available and they may use
18 information that was done by trade associations or were
19 done by other institutions.

20 MR. LORD: So material safety datasheets
21 that are prepared for a compound that's manufactured by
22 different manufacturers could contain different
23 information?

24 MS. BENKINNEY: That's correct.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. LORD: And is there any way to explain
2 why there might be those differences if the compound is
3 the same?

4 MS. BENKINNEY: In some cases it may be
5 due to subtle differences in the material from one
6 manufacturer to another. In other ones the differences
7 may be the highest dose that they used in a study. If
8 the material is non-toxic, you may see a greater than
9 number. And the greater the number would determine
10 whatever exposure they used as their highest dose. From
11 a scientific point of view there's not a lot of
12 differences between those, but you will see it if you
13 look at an absolute number that there would be a
14 difference. So there are real differences from a
15 scientific perspective between manufacturers and then
16 there's differences that really don't relate to anything
17 different on a scientific perspective.

18 MR. KEGERISE: I might just add something
19 to that. This -- you know, polybutene is quite a common
20 personal -- I want to say a personal hygiene product, it
21 has many uses in dealing with human contact. It's used
22 in lipsticks, it's used in mascara, it's --

23 MR. ASHTON: That covers only half the
24 population. (Laughter).

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. KEGERISE: It's used --

2 A VOICE: You don't know that --

3 A VOICE: More than half --

4 (Multiple voices overlapping and laughter,
5 indiscernible)

6 MS. BENKINNEY: It's also used as an
7 inner-ingredient in pesticides, in food preparation.
8 It's used in chewing gums, it's used in confectionery.
9 It's used in a broad range of applications as an inner-
10 carry ingredient for other materials.

11 MR. KEGERISE: Yeah. So my point being
12 that -- that there are many studies -- even you can go to
13 the internet for instance and you'll find the FDA has
14 extensive studies because polybutene is utilized for
15 instance in the environment let's say as squirrel and
16 bird repellent and -- you know, it's that sticky stuff
17 you put around your oak tree when the Gypsy Moths are,
18 you know, hatching, to catch the Gypsy Moths on the oak
19 tree, it's that same product, of course it's -- at that
20 point it's much thicker than what we're using as a pipe
21 filling fluid. But basically this material in its
22 various molecular weight has been studied to wherewithal
23 by the FDA and so forth.

24 Excuse me, the other half of the

HEARING RE: CL&P and UI
APRIL 21, 2004

1 population is covered by the tacky golf club grips.
2 (Laughter).

3 CHAIRMAN KATZ: Now that is a sexist
4 remark. (Laughter).

5 MR. ASHTON: That's a tacky remark.

6 MR. LORD: You mentioned the internet and
7 that there sources of information. Are material safety
8 datasheets readily available on the internet?

9 MS. BENKINNEY: There are some services
10 that provide those. Cornell has a service where they
11 provide them free of charge. There are other sources
12 where you can buy them. There are manufacturers that put
13 their MSDS's on the internet. So you can get access to
14 MSDS's fairly readily.

15 MR. LORD: So if one were to go onto the
16 internet and do a search for polybutene, you could
17 discover several MSD sheets for polybutene that are
18 produced by different manufacturers?

19 MS. BENKINNEY: That's correct.

20 MR. LORD: And if one were to do that and
21 discover that there's a warning on a MSDS sheet for
22 polybutene that warns against discharging to public water
23 supplies, how would you explain that?

24 MS. BENKINNEY: Probably what I'd want to

HEARING RE: CL&P and UI
APRIL 21, 2004

1 do is look at their scientific basis, what information
2 they have, what the statement is, and what the
3 information is that was generated to support that
4 statement.

5 MR. LORD: And --

6 CHAIRMAN KATZ: Mr. Lord, is this
7 something you're going to put in evidence or -- you're
8 sort of just dangling it out there.

9 MR. LORD: I'm not sure exactly how to get
10 it into evidence at this point. It may be something that
11 we can get in when we do our direct testimony.

12 CHAIRMAN KATZ: I think we'd appreciate a
13 follow-up on that.

14 MR. TAIT: Well, can't these witnesses
15 verify it?

16 MR. FITZGERALD: I don't know.

17 A VOICE: I don't know if they've seen it.

18 MR. FITZGERALD: We can't say unless we
19 see it. I -- I would not --

20 A VOICE: A microphone.

21 MR. FITZGERALD: Just for efficiency sake,
22 I would not object to these witnesses being asked about
23 this document since they're here and -- I'd like to get
24 some copies made so that we could all have --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: Let's -- let's take a
2 five-minute break and let's accomplish that.

3 (Whereupon, a short recess was taken.)

4 CHAIRMAN KATZ: Okay, we are back in
5 session. Mr. Lord, what we're going to do is -- we
6 understand we're getting copies of this new MSDS, we're
7 going to come back to that. And if you have other
8 questions, we will take them at this point, or we will
9 revisit with you later in the morning. How would you
10 like to do this?

11 MR. LORD: I can continue with questions
12 if --

13 CHAIRMAN KATZ: Okay.

14 MR. LORD: With regard to the response to
15 RWA's first interrogatory, it states that the compound is
16 non-toxic and poses no harm to the groundwater, surface
17 water, or human health. Can you explain the basis for
18 that conclusion?

19 MS. BENKINNEY: Yes. In terms of -- all
20 of that information is based on information in terms of
21 its general characteristics, physical chemical
22 characteristics in terms of binding coefficients, in
23 terms of movement. And the mammalian tox is based on
24 actually mammalian tox studies that have been done with

HEARING RE: CL&P and UI
APRIL 21, 2004

1 rats and rabbits to simulate exposures to humans. And so
2 those are actually based on actual study data that has
3 been generated using polybutene.

4 MR. LORD: So you reviewed studies that
5 had been performed in preparing that response?

6 MS. BENKINNEY: I reviewed summaries of
7 those studies that have been prepared by the EPA, that
8 the EPA summarized those effects, and looked at actual
9 study information, study summaries of the mammalian tox
10 data that were used to generate the numbers, yes.

11 MR. LORD: It states that it's a non-toxic
12 compound. Are there other non-toxic compounds though
13 that could affect the characteristics of drinking water?

14 For example nutrient --

15 MS. BENKINNEY: Yes, salt.

16 MR. LORD: -- nutrient salt, chloride --

17 MS. BENKINNEY: Yeah, sure.

18 MR. LORD: So the fact that it's non-toxic
19 doesn't necessarily mean that it won't have any effect on
20 drinking water, is that correct?

21 MS. BENKINNEY: That would be correct.
22 Usually the materials that would affect drinking water
23 will impart some kind of organoleptic properties, some
24 kind of taste properties that you could taste or you

HEARING RE: CL&P and UI
APRIL 21, 2004

1 could smell or will change the general nature of the
2 water itself so that the water has a different behavior.

3 Polybutene would not do those things. It would not
4 change the smell of the water, it wouldn't change the
5 taste of the water, unlike something -- a number of other
6 minerals or something that you could put in there that
7 you could pick up.

8 CHAIRMAN KATZ: Mr. Tait.

9 MR. TAIT: What are we -- what are we
10 really talking about? If I drank a cup of this, what
11 would happen to me?

12 A VOICE: You'd grow hair --

13 MS. BENKINNEY: Well instantaneously not
14 much, but I'd suggest within the next hour you get
15 yourself to the bathroom -- (laughter) -- and you stay
16 there for the rest of the day. It --

17 MR. TAIT: But is that --

18 MS. BENKINNEY: -- it would be similar to
19 -- you could use it for medicinal properties similar to
20 like mineral oil or castor oil --

21 MR. TAIT: Okay --

22 MS. BENKINNEY: -- it's very good at
23 cleansing your system, so -- you wouldn't want to drink
24 lots of it --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. TAIT: Alright --

2 MS. BENKINNEY: -- and in fact, we brought
3 a sample of it here and thought it might be something
4 that -- I wouldn't suggest you drink it, but you may want
5 to open it up and smell it, and you can stick your finger
6 in it and taste it -- I've done that, and certainly I
7 haven't run off anywhere. As you start drinking -- I
8 wouldn't suggest you drink this whole glass unless you're
9 not going anywhere for awhile.

10 MR. TAIT: But it's not toxic, it's --

11 MS. BENKINNEY: No, no, no. Not based on
12 studies that have been done. And in fact, the EPA has
13 actually -- FIRA, which is very stringent on regulations
14 for pesticides has actually considered it safe --

15 MR. TAIT: But in the --

16 MS. BENKINNEY: -- for applications.

17 MR. TAIT: In the quantities we're talking
18 about of leaking into a public water supply, would it be
19 detectable?

20 MS. BENKINNEY: You would see it possibly
21 as a layer on the -- if you had an open body of water.
22 But you're not going to see it beyond that.

23 MR. TAIT: And how many gallons would it
24 take to do that in an open body of water?

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MS. BENKINNEY: You'd have to have enough
2 to get a fairly thick layer, yeah.

3 MR. TAIT: Yes, like -- I mean --

4 CHAIRMAN KATZ: Has --

5 MR. TAIT: And it's viscous and it travels
6 very slowly through soil?

7 MS. BENKINNEY: Yes.

8 CHAIRMAN KATZ: Has EPA or any state
9 health departments determined how many parts per million
10 you're allowed to have this in drinking water?

11 MS. BENKINNEY: EPA actually -- in the
12 document that they wrote up from FIRA decided not to
13 establish a level --

14 CHAIRMAN KATZ: Backup on the acronym --

15 MS. BENKINNEY: Yeah. EPA, Environmental
16 Protection Agency --

17 CHAIRMAN KATZ: No, the next one?

18 MS. BENKINNEY: FIRA is the Federal
19 Insecticide and --

20 MR. TAIT: Rodent --

21 MS. BENKINNEY: -- Rodenticide Act --

22 COURT REPORTER: One more time --

23 CHAIRMAN KATZ: Thank you --

24 MS. BENKINNEY: -- and it's the one that's

HEARING RE: CL&P and UI
APRIL 21, 2004

1 there for --

2 COURT REPORTER: One more time please.

3 MS. BENKINNEY: Oh. FIRA, Federal
4 Insecticide and Rodenticide Act. It's the act that
5 covers things for agricultural, pesticides, food grade
6 applications, and it's a federal regulation. And they've
7 --

8 CHAIRMAN KATZ: We have -- we have an
9 acronym rule here, so --

10 MS. BENKINNEY: Sorry. They've actually
11 not set a maximum level because from their perspective
12 it's safe -- it's considered safe in those applications,
13 and they've said they couldn't determine a level of a
14 residue that would create a problem even to sensitive
15 populations like infants and children. So they could not
16 determine any threshold where you would see a problem,
17 including drinking water, including residential exposure.
18 They did not include occupational exposure, but all other
19 exposures.

20 MR. BRIAN EMERICK: Madam Chair.

21 CHAIRMAN KATZ: Mr. Emerick, followed by
22 Mr. O'Neill.

23 MR. EMERICK: I guess I would offer this
24 question to the panel. Of the proposed under-grounding,

HEARING RE: CL&P and UI
APRIL 21, 2004

1 how much of that is in a public water supply watershed of
2 South Central or another company?

3 MS. ANNE BARTOSEWICZ: In the proposed
4 application the proposed route does not have any
5 underground in public water supply.

6 CHAIRMAN KATZ: In the towns where --

7 MS. BARTOSEWICZ: We have --

8 CHAIRMAN KATZ: In the towns where it's
9 currently proposed to be overhead, which of those towns
10 have public water supplies?

11 MS. BARTOSEWICZ: In the overhead towns,
12 it would be Cheshire, Bethany, Hamden -- do you go into
13 Woodbridge -- Woodbridge. And in Cheshire, we have a
14 small piece of 115 cable, it is proposed to be solid
15 dielectric cable for the approximate mile that we're in
16 Cheshire and Hamden, so it would not be HPPF.

17 CHAIRMAN KATZ: Mr. Emerick, does that
18 conclude your question?

19 MR. EMERICK: In terms of the area along
20 the proposed underground route, are -- is water supply
21 provided through a public utility as opposed to
22 individual wells?

23 MS. BARTOSEWICZ: Yes.

24 MR. EMERICK: Okay, thank you.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: Mr. O'Neill, did you have
2 a question?

3 MR. O'NEILL: Yes. If this is completely
4 harmless, why does the DEP require any remediation to be
5 classified as a hazardous waste cleanup?

6 MS. BENKINNEY: The DEP wrote it for all
7 of the fluids of all different types, they didn't specify
8 polybutene specifically. They just wrote it as a general
9 category. In the past mineral oil has been used as a
10 fluid, alkyl benzene has been used. So they wrote a
11 general statute rather than something specific for this
12 application.

13 MR. O'NEILL: Thank you.

14 CHAIRMAN KATZ: Mr. Lynch.

15 MR. DANIEL P. LYNCH, JR.: Correct me if
16 I'm wrong, but did I hear you testify earlier that it was
17 odorless and tasteless?

18 MS. BENKINNEY: Yes.

19 MR. LYNCH: Well, we have a sample going
20 around here and it does have an odor to it. Has that
21 been added for some reason?

22 MS. BENKINNEY: No. But because it's in a
23 sealed container, you're going to pick up more of an odor
24 than you would if you had it released because -- you'll

HEARING RE: CL&P and UI
APRIL 21, 2004

1 pick up a slight odor in it because of the container,
2 because of the lid. I think if you had it in something
3 that would be more inert materials, you probably wouldn't
4 be picking that up.

5 MR. LYNCH: Thank you.

6 CHAIRMAN KATZ: What we call head space,
7 correct?

8 MS. BENKINNEY: Yes.

9 MR. TAIT: Have you tasted it, Dan?

10 MR. LYNCH: Pardon?

11 MR. TAIT: Have you tasted it?

12 MR. LYNCH: Not yet -- (laughter) -- I'm
13 waiting for you.

14 MR. ASHTON: If it grows hair, I'm tasting
15 it. (Laughter).

16 CHAIRMAN KATZ: Back to you, Mr. Lord.

17 MR. LORD: This may be a question for the
18 panel, it relates to the response to our second
19 interrogatory, and it states that you will be able to
20 detect releases as low as 200 gallons. Is that the
21 minimum amount of a release that can be detected?

22 CHAIRMAN KATZ: Why don't you start off by
23 identifying yourself today.

24 MR. JAY WILLIAMS: I'm Jay Williams. I

HEARING RE: CL&P and UI
APRIL 21, 2004

1 was sworn in yesterday --

2 COURT REPORTER: Mr. Williams, one more
3 time please.

4 MR. WILLIAMS: I'm sorry. My name is Jay
5 Williams. I was before the Council yesterday.

6 Yes, it's possible that smaller leaks
7 could be detected, but 200 gallons is the minimum amount
8 for a leak that's not readily obvious.

9 MR. LORD: Okay. And in the response to
10 Interrogatory No. 3, it stated that 10,000 gallons is the
11 maximum release. Why is that the maximum?

12 MR. ROGER ZAKLUKIEWICZ: One of -- one of
13 the releases is basically a corrosion leak, a very small
14 pinhole leak. The second where we identified what would
15 be the release within the length of cable that we're
16 talking about in the proposal is for, if you will, a
17 catastrophic dig-in where a backhoe has ripped open the
18 pipe and you have a rather large opening. By the time
19 the breach of the pipe is communicated to the company,
20 the company dispatches electricians to the substations to
21 drop the pressure on the pipe, that would be our estimate
22 of the amount of fluid that could possibly be released.
23 And we base that response on the fact that we had a
24 severe breach of a pipe a few years ago in the Stamford

HEARING RE: CL&P and UI
APRIL 21, 2004

1 area and we lost in that case approximately thirty-five
2 hundred gallons of insulating fluid. So that would be
3 our estimate. And again, it would depend upon whether
4 the pipe is totally severed or whether there is a large
5 fracture of the pipe. But that would be our estimate of
6 the time it would take for company personnel to go to the
7 transition station or substation to drop the pressure on
8 the release. And the release will continue until we get
9 a clamp placed over the pipe.

10 MR. LORD: I guess just to follow up on
11 that from an environmental perspective, what would be the
12 effect of 10,000 gallons of polybutene being spilled
13 approximate to a watercourse leading into, for example, a
14 public drinking supply reservoir?

15 MS. BENKINNEY: If the spill is on the
16 ground, you're going to see it pooling on the ground and
17 pooling below ground as a pool with sticking to the
18 soils. If it comes across some kind of conduit where they
19 can migrate to the water, you're going to see it floating
20 on the water or floating in the vicinity of the water.
21 It is lighter than water, it will float. There will be,
22 essentially, no mixing between the water and the material
23 itself. In terms of the reservoir, you may see then a
24 portion of it spreading out on top of the reservoir.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: Just -- could we just do a
2 little housekeeping thing for a minute. We've given this
3 -- we're going to call this RWA Exhibit No. --

4 A VOICE: One --

5 CHAIRMAN KATZ: -- 1 for identification
6 purposes --

7 MR. LORD: No, I think we have prefiled
8 testimony already on the record. I could check the
9 program for your quickly -- I don't --

10 CHAIRMAN KATZ: While you're checking, I
11 have a request of the Applicant. In the United States we
12 do our MSDS's a little differently and I was wondering if
13 there was a U.S. supplier of this material that we could
14 get a U.S. MSDS? In the United States we usually have a
15 whole regulatory section that references U.S. regs and
16 laws. Is there a U.S. supplier of this that we can get
17 an MSDS?

18 MR. BRUCE McDERMOTT: Chairman Katz --

19 A VOICE: Excuse me --

20 CHAIRMAN KATZ: Mr. McDermott.

21 MR. McDERMOTT: During the break Miss
22 BenKinney and I were talking, there are 500 MSDS's for
23 this particular chemical. We can obviously supply you
24 with one of those MSDS's, but that's not going to be

HEARING RE: CL&P and UI
APRIL 21, 2004

1 reflective of the manufacturer from whom we are getting
2 that chemical. So, I don't know what value it would have
3 to the Council. And again, I mentioned that there are
4 approximately 500 of them. And Miss BenKinney can
5 correct me if I'm wrong on that number.

6 CHAIRMAN KATZ: Okay.

7 MS. BENKINNEY: I didn't count them, but
8 if you do a search and you start looking for MSDS's,
9 there's hundreds and hundreds and hundreds of them. And
10 pretty well anybody that's using it in a pesticide
11 formulation or anything else is going to carry an MSDS on
12 the material --

13 CHAIRMAN KATZ: Okay --

14 MS. BENKINNEY: -- so they're going to be
15 from all over the world.

16 CHAIRMAN KATZ: Let's -- let's handle it
17 this way, why don't you ask Champion Servo (phonetic) if
18 they do a different version of their MSDS for U.S.
19 distribution that cites U.S. regulatory --

20 A VOICE: Global Special Products --

21 MR. FITZGERALD: Champion Servo, that's
22 Mr. Lord's.

23 CHAIRMAN KATZ: Oh, that's what I'm
24 looking at.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. O'NEILL: Madam Chairman --

2 CHAIRMAN KATZ: Yes.

3 MR. O'NEILL: -- if I may interject. I'm
4 sure it's possible to get an MSDS right off the top of
5 one of the barrels of this product, is it --

6 CHAIRMAN KATZ: Well, it's not that --

7 MR. O'NEILL: It's distributed --

8 CHAIRMAN KATZ: No -- unfortunately as a
9 person who does MSDS's for a living, it's not that easy.

10 Okay, for your product, which is Global Special Products
11 from Buckinghamshire, U.K., would it be possible to ask
12 them if they have a MSDS -- oh, they do -- okay, never
13 mind, they do have U.S. --

14 MR. KEGERISE: Yeah, that's what's been
15 provided.

16 CHAIRMAN KATZ: Yes. They do have U.S. --
17 okay. They do cite U.S. law in theirs --

18 MS. BENKINNEY: Most companies --

19 CHAIRMAN KATZ: -- it's just Champion that
20 doesn't cite U.S. law.

21 MS. BENKINNEY: Yeah, most companies
22 usually try to -- are trying to standardize their MSDS's
23 and use one worldwide rather than having different ones
24 for different countries.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: Okay. I will withdraw
2 that request. Okay, let's go back to the --

3 MR. EDWARD S. WILENSKY: (Indiscernible) -
4 -

5 CHAIRMAN KATZ: Yes, Mr. Wilensky.

6 MR. WILENSKY: In one of the answers, I
7 think the -- if it did seep into a reservoir, you could
8 scoop it off the surface of the reservoir or I think
9 something similar to that was said. What happens when it
10 seeps into an aquifer and there's no -- you know, there's
11 no way of getting at it in this aquifer, how does it
12 affect that? I know in our municipality we had that
13 problem quite serious -- not with this product but with a
14 product seeping into an aquifer.

15 MS. BENKINNEY: Now you're talking about
16 an underground aquifer?

17 MR. WILENSKY: Yes, yes.

18 MS. BENKINNEY: It's going to -- because
19 of the nature of this material and the fact that it
20 sticks to soil, it's going to take a very long time for
21 it to migrate down to an underground aquifer. Depending
22 on the volume of material and the depth to that aquifer,
23 it may never reach the aquifer. You're also going to
24 have degradation occurring of this material through

HEARING RE: CL&P and UI
APRIL 21, 2004

1 normal bacteria, so you'd have to look at it in terms of
2 would it actually contact the aquifer. And it may or may
3 not depending on all of those variables. If it did
4 contact the aquifer, it would float as a floating layer
5 or -- a non-aqueous phase liquid floating on top of the
6 aquifer rather than mixing in with the water of the
7 aquifer. So if you pulled that water to the surface and
8 you had any kind of filtration on the water coming in to
9 remove solids, to remove other materials, you're going to
10 be removing this material because it's going to be
11 sticking to the particles rather than being mixed in with
12 the water itself.

13 MR. WILENSKY: Many of the communities use
14 -- have wells that feed the homes and are fed from -- and
15 the wells are fed from aquifers. And so, therefore,
16 there's no filtration that takes place on that. So
17 therefore, it would be right into the -- right into the
18 aquifer, so there's nothing filtering that. So would
19 that have any adverse effect upon that resident that's
20 getting their water from a well?

21 MS. BENKINNEY: For the individual
22 resident, even if the material did get into the aquifer,
23 which right now would depend on all those variables I
24 talked about in terms of volume and depth, the amount

HEARING RE: CL&P and UI
APRIL 21, 2004

1 that would get into the individual well would be very
2 small. Now, when the EPA looked at the effect of
3 applications of these materials and looked at their
4 residue in a lot of things, they said even if it were in
5 drinking water, they don't anticipate a problem even on
6 sensitive populations.

7 MR. WILENSKY: Okay, thank you very much.
8 Thank you, Madam Chairman.

9 CHAIRMAN KATZ: Okay. Going back to Mr.
10 Lord. For identification purposes, this is -- the
11 Champion Servo MSDS for Polybutene is RWA exhibit number
12 --

13 MR. LORD: Three.

14 CHAIRMAN KATZ: Three. Thank you.

15 (Whereupon, South Central Regional Water
16 Authority Exhibit No. 3 was marked for identification
17 purposes only.)

18 CHAIRMAN KATZ: And then at some point in
19 this proceeding you'll have your witness verify that,
20 thank you.

21 MR. LORD: Thanks.

22 CHAIRMAN KATZ: Okay. Back to you.

23 MR. LORD: Just to follow up on --

24 MR. ZAKLUKIEWICZ: May I just expand upon

HEARING RE: CL&P and UI
APRIL 21, 2004

1 that previous response? If we have a catastrophic breach
2 of the pipe, we're going to have an excavation, and it's
3 going to probably be a sizable excavation for the type of
4 backhoe or greater that is going to severe a pipe similar
5 to what we're proposing to install here, so -- so I don't
6 want to leave the thought process that we're going to
7 have five or ten thousand gallons of fluid floating on
8 the surface down to a reservoir of some kind. Where the
9 excavation has already taken place, I'm assuming most of
10 this fluid is going to pool. And that's an assumption on
11 my part, but it's a logical assumption that I'm not just
12 going to have a very very small opening there, I'm
13 probably going to have a sizable opening for which the
14 majority of this fluid would tend to collect if you will.
15 So, I just want to make that comment.

16 MR. LORD: Is it a fair comparison to say
17 that polybutene moves in the environment in a similar
18 fashion to for example heating oil?

19 MS. BENKINNEY: No, it would actually move
20 much slower than heating oil. It has a much stronger
21 binding coefficient to particles than heating oil does,
22 so what you're going to see is that it's going to stick,
23 is the best way I can describe -- (tape stopped) --

24 COURT REPORTER: Could you pick that up

HEARING RE: CL&P and UI
APRIL 21, 2004

1 after it's going to stick.

2 MS. BENKINNEY: Yeah. Heating oil will
3 stick to some extent, certainly more than a gasoline
4 will, but this material will stick even -- in order of
5 magnitude even more than a heating oil would as it moves
6 through the soil. And when I say stick, it binds to --
7 because of the chemical nature of this material, it's
8 going to bind to particles. And we -- we look at that in
9 terms of binding coefficients and how -- when we talk
10 about stickiness, it's not stickiness as in the physical
11 property, more than how it's going to adhere to particles
12 in the soil.

13 MR. LORD: So it wouldn't matter then if I
14 changed that and said No. 6 oil as opposed to regular No.
15 2 heating oil?

16 MS. BENKINNEY: Well, No. 6 is only fluid
17 when it's hot. So the minute No. 6 cools down, it
18 becomes more like asphalt and so it's not very fluid.

19 MR. LORD: Okay. Just going back to --
20 I'm sorry, did you --

21 CHAIRMAN KATZ: No.

22 MR. LORD: To the volume of releases from
23 the pipe, are there any data that you're aware of from
24 leaks at other installations worldwide that could provide

HEARING RE: CL&P and UI
APRIL 21, 2004

1 a basis, for example, an average scenario for a spill?

2 This is probably a panel question.

3 MR. WILLIAMS: I don't know of enough data
4 that could be used to develop an average. Some spills
5 are detected and cleaned up and stopped within just a few
6 gallons, others are larger amounts. I -- I don't think
7 we could develop an average.

8 MR. O'NEILL: Mr. Williams, are you
9 familiar with any studies that have been done regarding
10 the reaction of this material to the thermal backfill?
11 It seems the thermal backfill is created to retain
12 moisture and keep the line cool. If there was a leak,
13 what would the reaction be? Do you have any idea?

14 MR. WILLIAMS: I have never heard of a
15 cable fluid leak in thermal backfill, so I -- I don't
16 have any experience.

17 MR. O'NEILL: Thank you.

18 MR. WILLIAMS: Let me point out fluidized
19 thermal backfill is -- there are different thermal -- I'd
20 like to expand a bit on my response. I was responding to
21 the fluidized thermal backfill, which is material that we
22 would propose using, the material that I described
23 yesterday.

24 MR. O'NEILL: (Indiscernible) --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. WILLIAMS: Well, again I know of no
2 experience where there have been leaks in fluidized
3 thermal backfill, so I have no experience on what would
4 happen.

5 COURT REPORTER: I didn't hear that
6 question.

7 CHAIRMAN KATZ: One more time.

8 MR. O'NEILL: I asked if it would be
9 absorbed into the thermal backfill material. And it is
10 not an absorbent material to my understanding. Is that
11 correct?

12 MR. WILLIAMS: I don't know the absorbency
13 of the material. It's like a weak mixed concrete, but I
14 don't know what absorbency it would have.

15 MR. LORD: Moving on to the response to
16 No. 5, it states that if polybutene were released, it
17 would be diluted to negligible levels. How would it be
18 diluted and what are negligible levels?

19 CHAIRMAN KATZ: Can you give the witness a
20 reference point?

21 MR. LORD: That's the response to our
22 Interrogatory No. 5.

23 MS. BENKINNEY: Okay. The whole dilution
24 would be as the material is moving through the soil

HEARING RE: CL&P and UI
APRIL 21, 2004

1 column and moving through the subsoils and you're going
2 to see it binding as I've talked about, and so what
3 happens then is that from the total volume as you move
4 down the soil column, you're going to see those
5 concentrations decrease quite rapidly and quite
6 exceptionally. And so what will happen is by the time it
7 contacts then the groundwater, it will be at a much lower
8 concentration. And then as it spreads over the surface
9 of that groundwater plume, you're going to get it to the
10 point where you see very low levels. Negligible would
11 mean at the extent in most cases of your abilities to
12 measure it scientifically, so you're at or below
13 detection limits with analytical instrumentation.

14 MR. LORD: Going back to the scenario of a
15 catastrophic spill of approximately 10,000 gallons to a
16 watercourse and ultimately to a reservoir, understanding
17 that the product floats, is it possible for it to form a
18 vapor barrier, if you will, that could result in an
19 oxygen depletion?

20 MS. BENKINNEY: Only if the volume of
21 material to the volume of the waterbody would -- you'd
22 have to have a lot of material and a very small
23 waterbody. It would also have to be very shallow for the
24 oxygen depletion to be memorable. So if you had a very

HEARING RE: CL&P and UI
APRIL 21, 2004

1 small farm pond and you could get a couple inch layer of
2 the material, and over a matter of time that could occur.

3 So it's not that the oil would -- the fluid would flow
4 and it would form a layer and immediately the oxygen
5 would disappear, you'd have some delay there in terms of
6 when that oxygen depletion would occur. For example,
7 under oil spill conditions when you have an oil spill
8 hit, it's very rare to see total depletion even when you
9 have massive amounts of crude oil or anything cover up
10 the whole surface of a pond. It can happen in extreme
11 cases, but you're looking at something that's going to be
12 a very very small pond, probably two foot or less in
13 terms of depth, and it would take a period of probably
14 weeks until you'd see that depletion take place, and by
15 that time you would anticipate that that material would
16 have been picked up already.

17 MR. LORD: When polybutene spreads out
18 over a waterbody, do you have any idea how thick of a
19 layer it would form? Is it just constrained by the
20 configuration of the banks of the reservoir if you will?

21 MS. BENKINNEY: Yes. It would be
22 constrained by the boundaries it might face, otherwise it
23 would just keep moving.

24 MR. LORD: And what would be the proper

HEARING RE: CL&P and UI
APRIL 21, 2004

1 response? I guess it's been compared to an oil spill, is
2 that fair to say, that the remediation of that spill
3 would consist of for example booms and absorbents?

4 MS. BENKINNEY: Yes. You could -- it
5 actually would be easier to contain than an oil spill
6 because you don't have the mixing taking place between
7 the water and the material. And you can contain it with
8 a physical barrier and then use materials to actually
9 then collect it. But I mean physically you can corral it
10 with a physical boom and then use an absorbent material,
11 or even depending how close you got it, you could
12 actually use a vacuum type principle as well to pick it
13 up, a vacuum cleaner type.

14 MR. LORD: Could you explain how the
15 material binds to particulates? That's in the response
16 to No. 6. The response states that in an aquatic system,
17 it would rapidly bind to particulates and be removed from
18 the water column.

19 MS. BENKINNEY: Yeah. It has to do with
20 the physical and chemical characteristics of polybutene
21 and the fact that it has more of a propensity to adhere
22 to particles than it does to be soluble in the water.
23 And I don't know if -- my colleague Wes can provide you
24 probably a greater chemical description than that. I'm a

HEARING RE: CL&P and UI
APRIL 21, 2004

1 fish biologist by training, so --

2 CHAIRMAN KATZ: Mr. Lord, is that answer
3 sufficient or do you -- did you want more detail?

4 MR. LORD: Actually if there's more detail
5 to be had, I'd appreciate it.

6 MR. KEGERISE: I think just the physical
7 nature of the polymerization because there are some
8 double bonds remaining in the polymer backbone, provides
9 I think a polarity which results in this tackiness. And
10 the tackiness really I'm going to say improves or gets
11 greater and greater as the molecular weight gets greater
12 and greater, so the thicker the fluid, the greater the
13 tackiness. These polybutene can be polymerized from
14 molecular weights of 300, which is like six butene groups
15 -- 6 or 7 butene groups to molecular weights of 100,000
16 or more, which is -- which is basically, you know, a
17 stiff rubber, somewhere -- you know, as you come back
18 down you get the base for chewing gum, which is not
19 necessarily tacky, but it's, you know, chewy. And as you
20 back down through these viscosities, this tacky nature
21 develops. So it's -- it's fairly -- I'm going to say
22 it's fairly unique to polybutenes.

23 MR. LORD: Okay, so if I understand this,
24 if it were released to a reservoir and it wasn't

HEARING RE: CL&P and UI
APRIL 21, 2004

1 immediately cleaned up, it would bind to particulates and
2 then it would be removed from the water column by sinking
3 to the bottom?

4 MS. BENKINNEY: Yes.

5 MR. LORD: And at the bottom it wouldn't
6 necessarily be able to degrade through oxidation or
7 photo-degradation?

8 MS. BENKINNEY: Not through photo-
9 degradation, but you'd still have aerobic degradation
10 occurring at the top of the sediment interface, the
11 sediment water interface.

12 MR. LORD: Depending on the depth of the
13 waterbody?

14 MS. BENKINNEY: Not depending on the depth
15 of the waterbody, but depending on the depth of the
16 interface. You know, certainly everywhere except the
17 deep ocean ridges you see degradation occurring at the
18 surface of the waterbody, that you still have an aerobic
19 zone between the sediment and the water column.

20 MR. LORD: Even in a thermally stratified
21 waterbody --

22 MS. BENKINNEY: Yeah --

23 MR. LORD: -- where you have hypolimnion -

24 -

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MS. BENKINNEY: It would be slower, but
2 you would still have degradation occurring, yes.

3 MR. LORD: Is it possible that -- having
4 that polybutene sitting as I picture in a pool on the
5 bottom of the reservoir, is it possible for that to
6 interfere with the phosphorus cycling?

7 MS. BENKINNEY: I wouldn't expect it to.
8 Instead of it -- it really -- instead of envisioning a
9 pool of polybutene, what you really should be envisioning
10 is that the pool has been broken up by all the
11 particulates and you now have got this material adhered
12 to the particulates that are scattered along the bottom,
13 so you no longer have a definable pool or anything that
14 you could define as being the -- that you could look at
15 and physically say there's the polybutene. It would be
16 scattered out along the bottom.

17 MR. LORD: And you would expect it to stay
18 on the bottom?

19 MS. BENKINNEY: Yes. You wouldn't expect
20 it to move back into the water column. You would expect
21 it to degrade over time.

22 MR. LORD: Any idea how long?

23 MS. BENKINNEY: It would depend on the
24 conditions, the time of year, the water temperature, the

HEARING RE: CL&P and UI
APRIL 21, 2004

1 depth to the water, the sedimentation rates, all of those
2 things. Probably weeks to -- weeks to months to years
3 depending on where we are.

4 MR. O'NEILL: Madam Chairman.

5 CHAIRMAN KATZ: Mr. O'Neill.

6 MR. O'NEILL: If we may reflect upon a
7 real situation. We've had a leaky cable across the Long
8 Island Sound you may have heard about. I don't know as a
9 marine biologist if you've studied the consequences of
10 those leaks as a real situation, of course the
11 environment is different, it's a saline environment. But
12 as I understand it there have been significant leaks of
13 this fluid. Have you studied the consequences on the
14 marine habitat out there in relationship to this fluid?

15 MS. BENKINNEY: From my review of the Long
16 Island Sound materials, they were using -- they were not
17 using the polybutene, they were using alkyl benzenes.
18 And it's the alkyl benzenes that they've been looking at
19 in terms of their long-term environmental effects. And
20 they would have a very very different behavior over time
21 in the environment mainly because of that benzene ring.
22 And the polybutenes are straight carbon backbones. So
23 you're -- you're talking about a very different animal
24 that would behave very differently in the environment

HEARING RE: CL&P and UI
APRIL 21, 2004

1 than these materials.

2 MR. O'NEILL: The viscosity of those
3 fluids is much different --

4 MS. BENKINNEY: Yes --

5 MR. O'NEILL: -- and much lighter, are
6 they not, so they would tend to float to the surface,
7 where this would sink under certain situations?

8 MS. BENKINNEY: Well, the alkyl benzenes
9 are not a single material, they actually a class of
10 materials, and you could -- they run the gambit in terms
11 of viscosities, in terms of solubilities and binding
12 coefficients. So as a class you would find them really
13 everywhere from the surface to the bottom, where
14 polybutene is a single type of material rather than that
15 class of materials. You see some variability in terms of
16 the chain link, but you are talking about something that
17 behaves very consistently.

18 MR. O'NEILL: And as an insulating fluid
19 how would you differentiate the two classes of materials
20 as being an environmental consequence? Obviously, you're
21 here as a proponent of this fluid as being very safe.
22 And the other, how would classify that in relationship to
23 this one?

24 MS. BENKINNEY: I think for an alkyl

HEARING RE: CL&P and UI
APRIL 21, 2004

1 benzene there would be -- as an environmental scientist
2 I'd have more concerns about the long-term environmental
3 consequences of an alkyl benzene material compared to a
4 polybutene. So certainly from an environmental
5 perspective, I think that polybutenes are -- based on the
6 literature available are preferable in an environmental
7 sense than an alkyl benzene material.

8 MR. O'NEILL: Perhaps -- if I may, Madam
9 Chairman -- if you have any specific literature that you
10 could enter at a certain point from your specific point
11 of view that might be helpful to this Council, I would
12 appreciate it.

13 CHAIRMAN KATZ: On -- exactly on the poly
14 --

15 MR. O'NEILL: On -- on the studies that
16 have been advanced on -- comparative studies between
17 these two fluids.

18 MS. BENKINNEY: I haven't seen anything
19 that they compare them directly. It's looking at --
20 really looking at the scientific data that's been
21 generated for each of them individually, and as a
22 scientist looking at those numbers and what they're --
23 what those numbers tell us in terms of their relative
24 toxicity or relative environmental impact. But I haven't

HEARING RE: CL&P and UI
APRIL 21, 2004

1 seen any studies specifically that compare and contrast
2 them from an environmental perspective.

3 MR. O'NEILL: Thank you.

4 CHAIRMAN KATZ: Mr. Ashton.

5 MR. ASHTON: If I may, I'd like a little
6 further clarification of what level of polymer we're
7 talking about here for the insulating fluid. I
8 understand that it go -- significantly vary in its
9 weight, atomic weight, but where are we here? Is it a
10 single polymer or is it a group of polymers at about X
11 atomic weight?

12 MR. KEGERISE: The -- we're talking about
13 a fluid here, a polymer fluid with a molecular weight
14 somewhere around 320. A butene group -- the molecular
15 weight of a butene group, like I said, is around 56. So
16 56 into 320 is 6 or 7. So that's about the length of the
17 polymer chain of that pipe filling fluid. These polymers
18 change, of course depending on the reaction that you want
19 to get or the length of the chain that you want to get
20 are basically time and temperature, pressure related.
21 And in this particular case as the manufacturer of the
22 cables, we use higher viscosity, higher molecular weight
23 fluids as impregnation fluids in the cable itself because
24 we want -- we want the fluid to stay within the laps of

HEARING RE: CL&P and UI
APRIL 21, 2004

1 the paper tape. In the case of the pipe fluid, you want
2 something that is going to be easily circulated through
3 the pipe, carry heat away, you know, and so forth.

4 MR. ASHTON: So there are several polymers
5 that are involved in this, not just one?

6 MR. KEGERISE: Well in order to -- in
7 order to get specific viscosities from these polymers,
8 the manufacturer of the fluids actually has a specific
9 blending operation. You can -- you can actually take a
10 higher molecular weight polybutene fluid and blend it
11 with a lower molecular weight fluid and get something,
12 you know, in the middle --

13 MR. ASHTON: Okay --

14 MR. KEGERISE: -- and there are -- there
15 are standard viscosities, but I suppose if you really
16 wanted to, you could get, you know, a special viscosity.

17 MR. ASHTON: Are you aware as to whether
18 or not this polymer -- or these polymers could be used or
19 are used as an insulating fluid in transformers?

20 CHAIRMAN KATZ: Is there anyone on the
21 panel who can answer that?

22 MR. ASHTON: Or circuit breakers? Mr.
23 Zak?

24 MR. ZAKLUKIEWICZ: Not -- not that I am

HEARING RE: CL&P and UI
APRIL 21, 2004

1 aware of.

2 MR. ASHTON: Okay. Thank you, that's all
3 I have.

4 CHAIRMAN KATZ: Thank you. Back to you,
5 Mr. Lord.

6 MR. LORD: Just following up on the
7 affinity for particulates and given that it has some
8 viscosity, do you have any idea what might happen if
9 polybutene were to come in contact with filter media in a
10 public drinking water treatment system?

11 MS. BENKINNEY: I would expect it to be
12 removed with the particulates and would stay with the
13 particulates. So if the filter media would stop the
14 particulates, I would expect that it would also stop the
15 polybutene.

16 CHAIRMAN KATZ: Would it goo up the
17 filter?

18 MS. BENKINNEY: I guess it would be --

19 MR. TAIT: That's a scientific term.

20 MS. BENKINNEY: I -- (laughter) --

21 CHAIRMAN KATZ: We're bottom line type of
22 people here.

23 MS. BENKINNEY: As a scientist, you know,
24 we hate to say absolutes. I guess it depends on how many

HEARING RE: CL&P and UI
APRIL 21, 2004

1 particulates are in the water versus the size of your
2 filter. Certainly it would get caught on the filter.

3 MR. ASHTON: And not likely to come off if
4 you have backwash, back flushing?

5 MS. BENKINNEY: As long as the
6 particulates -- it's not going to be washed off the
7 particulate by water. It's going to stay with the
8 particulate and it's going to stick. So as long as
9 you're not washing the particulates back off, then you're
10 alright. If you wash the particulates back off, then it
11 would -- it would go wherever the particulate goes.

12 MR. ASHTON: Thank you.

13 MR. LORD: If we could move back to the --
14 to our late filed MSD sheet.

15 CHAIRMAN KATZ: Which we are calling RWA
16 Exhibit No. 3, the Champion Servo MSDS.

17 MR. LORD: Is the polybutene multi-grade
18 essentially the same compound as the polybutene that's to
19 be used in the proposed cable?

20 MR. KEGERISE: You know, in looking --
21 first of all, I've never seen in the fluids that we
22 utilize the term multi-grade. And as -- as I look
23 through this, in Section 9, Physical and Chemical
24 Properties, color for instance says lighter pale or

HEARING RE: CL&P and UI
APRIL 21, 2004

1 brown. Now that would tend to indicate -- and by the
2 way, Section 1 -- Section 1, identification of the
3 substance says wire line lubricant --

4 CHAIRMAN KATZ: What does that mean in
5 layman's terms?

6 MR. KEGERISE: It's -- it's a lubricant.

7 CHAIRMAN KATZ: Work with me here.

8 MS. BENKINNEY: It's like a grease or an
9 oil. So it would be used for greasing purposes.

10 MR. KEGERISE: Good job. So, I would say
11 that the term multi-grade then would mean that this was
12 not refined to as stringent conditions as the pipe fluids
13 that we would refer to, particularly if they're referring
14 to a color of brown and an odor taste of ammonia.
15 Viscosity interval at 1,000 centi-stokes at 40C would be
16 comparable to a molecular weight somewhere around 900,
17 which would be say three times more viscous than --

18 A VOICE: (Indiscernible) -- people can't
19 hear --

20 CHAIRMAN KATZ: Excuse me. Yes, can you
21 just hold on. We need to raise the volume on his mic
22 please. (Pause). Thank you.

23 MR. KEGERISE: The viscosity at 1,000 to
24 1200 centi-stokes at 40C appears to be reasonably

HEARING RE: CL&P and UI
APRIL 21, 2004

1 comparable to a molecular weight of somewhere around 900,
2 which would be three times more viscous than what we're
3 using in the pipe, so --

4 CHAIRMAN KATZ: So --

5 MR. KEGERISE: It doesn't seem to be that
6 this is as I'm going to say high grade a product as we
7 would be recommending for the pipe fluid.

8 CHAIRMAN KATZ: So based on its
9 application described as a wire line lubricant, you do
10 not at this point believe that this is manufactured
11 specifically to -- as an insulating fluid for cables?

12 MR. KEGERISE: Correct. It would not --
13 you know, it wouldn't fall in that classification of
14 dielectric fluid.

15 MR. GERALD J. HEFFERNAN: Yeah, I've got a
16 question. The color does look to be like light or pale
17 brown?

18 MR. KEGERISE: You -- you do get color
19 change from, you know, UV degradation, but it -- you
20 know, it's an optical thing.

21 MR. HEFFERNAN: An optical illusion,
22 right.

23 CHAIRMAN KATZ: Mr. Lord, if you in the
24 future have an MSDS for a polybutene product that's

HEARING RE: CL&P and UI
APRIL 21, 2004

1 described as an insulating fluid, we would allow you to
2 bring that in when you do your direct case.

3 MR. LORD: Alright, thank you. And I
4 believe that concludes my cross-examination. Thank you
5 very much.

6 CHAIRMAN KATZ: Thank you, Mr. Lord. I
7 inadvertently passed over Mr. Frank. Do you have
8 questions for this witness?

9 MR. MONTE FRANK: I may not. If we could
10 take a two-minute break, I -- I may have one or two
11 questions, but in all likelihood I will not have any, if
12 that's possible.

13 CHAIRMAN KATZ: How about if we do this,
14 how about if we go to Council questions and you use that
15 time to prepare yourself.

16 MR. FRANK: That would be fine. Thank
17 you.

18 CHAIRMAN KATZ: Okay. Mr. Cunliffe.
19 Right now we're just doing questions for these two
20 witnesses and then the Council will come back to our
21 overall questions.

22 MR. CUNLIFFE: Both of the MSDS seem to
23 identify measures for first aide and they seem to point
24 towards medical attention. And you're saying that this

HEARING RE: CL&P and UI
APRIL 21, 2004

1 material is not hazardous, doesn't cause problems, but
2 however the manufacturers are making a statement. Any
3 comment to that?

4 MS. BENKINNEY: Typically on an MSDS or a
5 material safety datasheet, the language that you see here
6 in terms of first aide is fairly consistent and it's on
7 there to protect the company. Certainly you wouldn't
8 want to say you can drink this stuff, there's not a
9 problem. So the language that's on here is not
10 inconsistent across the board of what you see for a
11 variety of products. So the fact that it says seek
12 medical attention would be typical of what you'd want if
13 somebody drank a gallon of this, just like it would be
14 for a lot of other materials that are considered inert.

15 MR. TAIT: Do you suspect that it's
16 drafted by a lawyer and not a scientist? (Laughter).

17 MS. BENKINNEY: What happens is a
18 scientist drafts them and then a lawyer changes the
19 language.

20 CHAIRMAN KATZ: We know that feeling.

21 MR. CUNLIFFE: Those are my questions.
22 Thank you.

23 CHAIRMAN KATZ: Thank you. Other Council
24 questions for these two witnesses? Why don't we -- does

HEARING RE: CL&P and UI
APRIL 21, 2004

1 any other Council member have questions for these two
2 witnesses? Mr. O'Neill.

3 MR. O'NEILL: Just one, Madam Chairman.
4 The worst case scenario, if there was a spill in a
5 reservoir, would the company operating that filtration
6 system need any special filters on hand in order to
7 separate this material from the water supply?

8 MS. BENKINNEY: Not if they're already
9 removing particulates, no.

10 MR. O'NEILL: Thank you.

11 CHAIRMAN KATZ: Just --

12 MR. ASHTON: Just to follow on with that,
13 insofar as water -- the polybutene does get into a water
14 supply, it would be at the surface. It's lighter than
15 water, it would tend to float, would it not?

16 MS. BENKINNEY: It would float
17 immediately. And then the longer it would sit there, the
18 more it would start interacting with the particulates in
19 the water and then drop out of the water column.

20 MR. ASHTON: Okay. And would they likely
21 be picked up by a water intake?

22 MS. BENKINNEY: It would depend on where
23 the water intake is and how much of the volume of that
24 reservoir would be pulling. So in other words, if it's

HEARING RE: CL&P and UI
APRIL 21, 2004

1 pulling off the surface and it was immediately associated
2 with when the intake -- when that material had gotten
3 into the water supply, there would be a potential there.

4 The longer the material would have been on the -- in the
5 material, the less likely it would be picked up in a
6 water supply.

7 MR. ASHTON: Thank you.

8 CHAIRMAN KATZ: Would most licensed spill
9 contractors know how to handle a spill like this?

10 MS. BENKINNEY: Yes.

11 CHAIRMAN KATZ: And how would they know
12 that?

13 MS. BENKINNEY: Because the material being
14 a fluid is not that unusual for them. Their -- their
15 typical reaction when you get a spill is contain it --
16 irrespective of the material, contain it, keep it out of
17 water surfaces, and then start using spill containment
18 materials, vermiculite -- I've seen cat litter,
19 everything else used to start cleaning that up. But the
20 immediate response on a flowing liquid, a fluid type
21 material is to start booming it and putting down physical
22 natures to keep it out of water. So the response here
23 would not be unusual for what fire departments and
24 everything else do routinely.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: But it might be a logical
2 condition that the Applicant would have to prepare some
3 type of short spill response viable to be handling this
4 just so that everyone is on the same page?

5 MS. BENKINNEY: Usually they -- anybody
6 doing spill response would look at the material safety
7 datasheet and see what's said in there in terms of any
8 kind of spill containment. So the statements that are in
9 here that say keep it out of the water are good general
10 practices that are done.

11 CHAIRMAN KATZ: So the municipalities
12 impacted by this fluid filled cable should probably have
13 this MSDS on hand?

14 MS. BENKINNEY: Yes. They -- or it should
15 be accessible. Usually these -- MSDS's are available.
16 And when there's a response, the fire departments pull
17 them up -- pull up the MSDS's or their HAZ MAT teams pull
18 up MSDS's and look at the language in there in terms of
19 any special conditions or anything they'd need to know as
20 part of their response.

21 CHAIRMAN KATZ: But --

22 MR. JOHN PRETE: Madam Chair --
23 (indiscernible) --

24 CHAIRMAN KATZ: Yes, Mr. Prete?

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. PRETE: Thank you. Actually in the
2 conversations that Anne and I have had with a lot of the
3 CEOs in these towns, they have asked for that very
4 information. And we have talked to them about it as we
5 go forward, that would be a very appropriate bible so to
6 speak to have, both internal and to themselves.

7 CHAIRMAN KATZ: Thank you for putting that
8 in the record. Other Council questions of these two
9 witnesses? Mr. O'Neill.

10 MR. O'NEILL: Just one more. As a marine
11 biologist you must be familiar with some of the studies
12 being done regarding the West Nile virus and municipal
13 approaches to standing bodies of water. Since this
14 appears to be a fairly benign substance, are you familiar
15 with any use of this material to address concerns on
16 standing bodies of water and West Nile virus approaches
17 to contain its spread?

18 MS. BENKINNEY: I'm not familiar with
19 anybody that's published on it yet, but I wouldn't be
20 surprised because it's used by a lot of the manufacturers
21 that are going to be focusing on that as an inner-
22 ingredient. I wouldn't be surprised if it may become an
23 ingredient of something that they'd use, but they may
24 have something active -- put something in that's a little

HEARING RE: CL&P and UI
APRIL 21, 2004

1 more active. This would be more of a passive type
2 material. So, I wouldn't be surprised if somebody is
3 considering using it as part of an application, but I
4 don't know of anybody in particular that's working on it.

5 MR. O'NEILL: Again as a marine biologist
6 are there any consequences regarding the habitat that
7 have been an area of concern?

8 MS. BENKINNEY: None that I've seen based
9 on reviewing the scientific literature.

10 MR. O'NEILL: Thank you.

11 CHAIRMAN KATZ: Thank you. Mr. Frank, we
12 will turn it back to you.

13 MR. FRANK: Thank you.

14 CHAIRMAN KATZ: Just for -- to let
15 everyone know, we're going to go until noon and then
16 we'll be taking our lunch break from noon to 1:00.

17 MR. FRANK: Miss BenKinney --

18 CHAIRMAN KATZ: For the record --

19 MR. FRANK: For the record, Monte Frank
20 for the Town of Weston and Wilton.

21 Miss BenKinney, can you please compare the
22 migratory qualities of petroleum or gasoline with
23 polybutene?

24 MS. BENKINNEY: Migratory qualities in

HEARING RE: CL&P and UI
APRIL 21, 2004

1 what? In soil, in water --

2 MR. FRANK: Start with --

3 MS. BENKINNEY: -- in air?

4 MR. FRANK: In soil?

5 MS. BENKINNEY: Okay --

6 MR. FRANK: If there were to be a spill of
7 an underground storage tank for example?

8 MS. BENKINNEY: Gasoline will move readily
9 through the soil. It has very low binding coefficients.
10 For the predominant factors, the benzene, toluene,
11 ethylbenzene, xylene, or the B tech (phonetic) fraction
12 of gasoline will move readily through soil and contact
13 groundwater. It is also is very soluble in water. So
14 once it contacts the groundwater, it will solubilize in
15 the groundwater. Polybutene on the other hand will move
16 very very slowly through the soils and it will not mix
17 with groundwater.

18 MR. FRANK: And can you please compare the
19 risk of a leak of an underground storage tank from a
20 gasoline station versus the risk of a leak -- and the
21 effects on the environment of polybutene?

22 MS. BENKINNEY: Okay. The gasoline
23 components have very high toxicity to aquatic organisms.
24 They also have human health effects. Because they're

HEARING RE: CL&P and UI
APRIL 21, 2004

1 soluble in water, they're very difficult to remove from
2 water once they get into water. So what that means is
3 aquatic organisms are going to be ingesting them, they're
4 going to be exposed to them, it's going to create
5 toxicity. The polybutenes because of their chain links,
6 even if they get into aquatic organisms through ingestion
7 of particles, they're not going to be taken up. They're
8 going to do similar things to aquatic organisms that they
9 would do to people, although probably not quite so
10 extreme for the aquatic organisms, it will pass right
11 through the body, right through the gastrointestinal
12 tract. So they don't have that toxicity effect, they
13 don't have that long-term effect, although you could have
14 short-term -- some cleansing of their digestive systems.

15 MR. FRANK: Okay, let me follow up on
16 that. In your opinion what poses a greater risk to a
17 public drinking water watershed area, a gasoline station
18 with an underground storage tank or the proposed HPPF
19 cable with polybutene fluid?

20 MS. BENKINNEY: The gasoline service
21 station.

22 MR. FRANK: Okay. And let me ask you a
23 similar question about residential heating oil. Can you
24 please compare the migratory qualities of heating oil

HEARING RE: CL&P and UI
APRIL 21, 2004

1 versus polybutene?

2 MS. BENKINNEY: Okay. Heating oil will --
3 although it moves slower than gasoline, it will still
4 move faster than the polybutene. It -- some of the
5 components will bind to soil, but the majority will move.

6 It is somewhat soluble in water. What that means is
7 unlike gasoline, which will be completely soluble in
8 water, some of the components will float, but some of the
9 components will be soluble as well. The polybutenes, as
10 I've mentioned, are very slow to move, will not mix with
11 water at all. In terms of human health effects from
12 drinking the water, the components in the home heating
13 oil that are the most soluble also have human health
14 impact and they would be some of the like chain petroleum
15 hydrocarbons.

16 MR. FRANK: Okay. So in your opinion what
17 poses a greater risk to a public drinking water watershed
18 area, residential oil tanks and their propensity to
19 eventually leak or the proposed HPFF cable with the
20 polybutene fluid?

21 MS. BENKINNEY: The residential tanks.

22 MR. FRANK: Okay. And one last question.
23 Do you have any experience with failing residential
24 septic systems and the effect on public drinking water

HEARING RE: CL&P and UI
APRIL 21, 2004

1 watershed areas?

2 MS. BENKINNEY: Yes.

3 MR. FRANK: Okay. And the same question,
4 what poses a greater risk to public drinking water
5 watershed areas, a failing residential septic system or
6 the proposed cable with the polybutene fluid?

7 MS. BENKINNEY: The residential septic
8 system.

9 MR. FRANK: Okay, thank you. I have no
10 further questions.

11 CHAIRMAN KATZ: Thank you, Mr. Frank. Is
12 there any party or intervenor that I've missed on these
13 two witnesses? Mr. Fitzgerald, Miss Randell, do you have
14 any redirect before we excuse these witnesses?

15 MR. FITZGERALD: No, thank you.

16 CHAIRMAN KATZ: Okay. At this point,
17 thank you. At this point, next on the thing I have a
18 report of homework assignments from the Applicant. Why
19 don't you -- I was not here yesterday afternoon, so if
20 you could preface on what you're reporting on, I would
21 appreciate it until I read the transcript.

22 MS. LINDA RANDELL: Sure. I'll do a
23 couple and then turn them over to Mr. McDermott.

24 CHAIRMAN KATZ: I'm going to need you to

HEARING RE: CL&P and UI
APRIL 21, 2004

1 move your mic a little closer.

2 MS. RANDELL: Mr. Prete, there was
3 discussion yesterday of a noise study --

4 CHAIRMAN KATZ: Closer --

5 MS. RANDELL: Is that better, Tony?

6 MR. ASHTON: Your docile tones don't
7 carry.

8 MS. RANDELL: Go figure. Mr. Prete there
9 was discussion yesterday of a noise study that was being
10 done with respect to the sites now proposed for the
11 Singer Substation identified as Site 8 in the Site
12 Selection Study. Has that been completed?

13 MR. PRETE: Yes, it has.

14 MS. RANDELL: And is -- are the companies
15 prepared to submit that as a substitute for the noise
16 study that was included in Volume 4 of the application
17 with respect to Site 1?

18 MR. PRETE: Yes, we are.

19 COURT REPORTER: Hold it --

20 MS. RANDELL: And --

21 A VOICE: Grab that microphone.

22 MS. RANDELL: And does -- do you adopt
23 that site noise study for Site 8?

24 MR. PRETE: Yes, I do.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: And this is a new exhibit?

2 MS. RANDELL: Well, it's up to you. We
3 can substitute it for the noise study originally included
4 in Volume 4 or we can make it Applicant's exhibit -- 64?

5 CHAIRMAN KATZ: Mr. Cunliffe, 64?

6 MR. CUNLIFFE: 64.

7 CHAIRMAN KATZ: Let's make it 64. And
8 we'll just note for the record it's a substitution.

9 (Whereupon, Applicants' Exhibit No. 64 was
10 received into evidence as a full exhibit.)

11 CHAIRMAN KATZ: And you'll serve the list
12 in the usual way.

13 MS. RANDELL: Indeed.

14 CHAIRMAN KATZ: Because -- so the parties
15 and intervenors have not yet seen this, correct?

16 MS. RANDELL: That is correct.

17 CHAIRMAN KATZ: Okay. So what I'm going
18 to do is -- if there's -- we're going to sort of have a
19 wrap-up day in June for some of these late appearing
20 issues. So if there's any party or intervenor who wishes
21 to cross-examine on this particular report, we'll do it
22 during wrap-up day after they've had a chance to look at
23 it.

24 MR. PRETE: Madam Chair, I did summarize

HEARING RE: CL&P and UI
APRIL 21, 2004

1 very briefly the results of that. If you'd like for me
2 to go over that, I'd be happy to, it will take about one
3 sentence.

4 CHAIRMAN KATZ: That sounds good.

5 MR. PRETE: The --

6 A VOICE: (Indiscernible) --

7 MR. TAIT: No, I believe Mr. Prete can do
8 it in one sentence.

9 MR. PRETE: Is that a bet?

10 MS. RANDELL: I think that was your
11 sentence.

12 MR. TAIT: Your yes and no answers
13 yesterday give me confidence.

14 MR. PRETE: The noise levels are lower
15 with this study than they were at the study that was
16 produced in the application. So from that point of view
17 --

18 MR. TAIT: Quit while you're ahead --

19 MR. PRETE: -- it's a better site.

20 MR. TAIT: Quite while you're ahead.

21 CHAIRMAN KATZ: Do you -- as far as coming
22 attractions, are you planning a similar thing for the
23 Beseck Station, a noise study, the 55,000 square foot
24 Beseck Station?

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MS. BARTOSEWICZ: In the application that
2 was filed there is a noise study for Beseck.

3 CHAIRMAN KATZ: And it's -- you consider
4 that current?

5 MS. BARTOSEWICZ: Yes.

6 CHAIRMAN KATZ: Thank you. I'm just
7 anticipating. Okay.

8 MS. RANDELL: Okay. Next on the hit
9 parade, Mr. Williams, you had a homework assignment with
10 respect to Commonwealth Edison's underground 345-kilovolt
11 transmission -- oh, I'm sorry, it's Roger -- excuse me,
12 Mr. Zak, are you taking that homework assignment?

13 MR. ZAKLUKIEWICZ: Yes, we have.

14 MS. RANDELL: And what information were
15 the companies able to determine with respect to
16 Commonwealth Edison's 345 underground installations?

17 MR. ZAKLUKIEWICZ: The most recent one was
18 a six-mile, high pressure fluid filled, 345-kV
19 transmission line. Basically, the cables were installed
20 at the end of 2003 and the beginning of 2004, and it was
21 placed in service a few months ago.

22 We are also aware of in the Commonwealth
23 Edison system the fact that they had installed two cable
24 pipes for future installation of cables in the 1990's and

HEARING RE: CL&P and UI
APRIL 21, 2004

1 they have installed one 345 cable, again HPFF in one of
2 the pipes in the '96-97 timeframe. The exact length of
3 that installation we just do not have the information
4 for, and we are continuing to pursue.

5 MR. TAIT: The most recent one that's the
6 six-mile one, that goes from where to where, and what's
7 the cable?

8 MR. ZAKLUKIEWICZ: The cable is high
9 pressure fluid filled. The exact location from town to
10 town or location to location --

11 MR. TAIT: Is it within New York City or
12 is it -- is it within -- under the streets of New York
13 City --

14 MR. ZAKLUKIEWICZ: No, this is in
15 Commonwealth Edison, which is the Greater Chicago area.

16 MR. TAIT: I'm sorry. Okay.

17 MR. ZAKLUKIEWICZ: So it's in Greater
18 Chicago. Exactly what borough or whatever in Chicago,
19 but it's in the Greater Chicago loop.

20 CHAIRMAN KATZ: Thank you. Just to go
21 back on a housekeeping matter, we need to -- Mr. Prete,
22 are you going to adopt the Singer Substation noise study
23 -- was that prepared under your auspices?

24 MR. PRETE: Yes, it was.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: And are you going to adopt
2 that or how -- how do you want to do this, Miss Randell?

3 MS. RANDELL: I actually thought I did.

4 We'll --

5 MR. TAIT: Yes --

6 CHAIRMAN KATZ: Oh, you did?

7 MS. RANDELL: I thought so, but I could do
8 it somewhat more clearly.

9 CHAIRMAN KATZ: You see what happens when
10 you don't feed me at regular intervals. (Laughter). I'm
11 sorry. Okay. So we're all set on that, thank you.

12 MR. EMERICK: Madam Chairman.

13 CHAIRMAN KATZ: Yes, Mr. Emerick.

14 MR. EMERICK: Mr. Zak, just a point of
15 clarification on the Commonwealth example you just gave
16 us, the six-mile project --

17 MR. ZAKLUKIEWICZ: Yes?

18 MR. EMERICK: -- is that project length or
19 cable length?

20 MR. ZAKLUKIEWICZ: That was cable length.

21 MR. EMERICK: So it's a three-mile -- or
22 is it a double cable?

23 MR. ZAKLUKIEWICZ: I believe it's a single
24 cable, six miles long.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. EMERICK: Okay, thank you.

2 MS. RANDELL: I'll turn the rest of the
3 homework over to Mr. McDermott.

4 MR. McDERMOTT: Mr. Prete or Miss Shanley,
5 you had the homework assignment I believe of determining
6 UI's previous experience with contaminated soil in state
7 roadways and how that was handled and who paid for that
8 contaminated soil removal I believe.

9 CHAIRMAN KATZ: Have you been sworn yet?

10 MS. RANDELL: Yes.

11 CHAIRMAN KATZ: Thank you --

12 MR. McDERMOTT: Yes, she has.

13 MS. KATHLEEN SHANLEY: For the record,
14 Kate Shanley. Go ahead? Alright.

15 United Illuminating has from time to time
16 encountered soils that are contaminated when there has
17 been State mandated projects. The Q Bridge that you
18 heard about yesterday is one of those projects. We've
19 had some road widening projects where we've needed to
20 come off the right-of-way where we have been located onto
21 an expanded right-of-way. During those circumstances
22 when we've encountered contaminated soils, the State has
23 taken control of those soils for management and disposal,
24 those were State mandated projects.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 In regular projects where we are in the
2 state road where those types of activities are not
3 prompted by a State mandated project and we are in a
4 state road, any contamination that we encounter, we deal
5 with unless the contamination can be attributed to a
6 likely neighborhood source like a gas station. We're
7 beating up on gas stations this morning, so gas stations
8 for instance. If we cannot find a likely source, then we
9 would take control of that contamination.

10 Another exception to that rule might be --
11 for instance in Stratford where there is a number of
12 areas throughout the Town that have extensive
13 contamination from past facilities that were located in
14 the municipality where we have needed to put in
15 distribution or other types of facilities, we have worked
16 with the town to avoid those locations.

17 MR. McDERMOTT: Mr. Zak, I believe you had
18 a similar homework assignment as it relates to Yankee
19 Gas?

20 MR. ZAKLUKIEWICZ: Yes, I do. In the case
21 of Yankee Gas in questioning their personnel last evening
22 and early this morning, there have been a number of
23 instances where in moving existing gas lines or extending
24 the service mains that they have encountered hazardous

HEARING RE: CL&P and UI
APRIL 21, 2004

1 materials in the state roadways, in particular the
2 examples provided were Route 68 or in the Naugatuck area,
3 and that had to be changing -- (tape stopped) --

4 COURT REPORTER: Changing?

5 MR. ZAKLUKIEWICZ: Changing of an
6 interchange on Route 8, there was an area there where
7 hazardous materials were located. The company handled
8 the hazardous material in a proper manner. And
9 negotiations were in place with the State as to the
10 recovery of dollars for the disposal of the hazardous
11 materials. And that worked fine with agreements between
12 Yankee Gas and the State DOT. To my understanding there
13 was expanding of service mains on Route 69. Those
14 materials were handled by Yankee Gas and paid for by
15 Yankee Gas.

16 The exact state highway in Plymouth
17 was not known, but that again was a gasoline station
18 where the gasoline has migrated underneath the roadway.
19 And in that case the disposal of the hazardous material
20 was properly done by Yankee Gas. And as Miss Shanley has
21 testified to, we -- Yankee Gas sought compensation for
22 the cost of the disposal of the hazardous material from
23 the generator of the materials, in this case the gas
24 station.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 There was an instance in Enfield that --
2 one of the 91 interchanges being changed where there were
3 hazardous material in the interchange. And to the best
4 of my knowledge, we extended the pipeline -- the gas
5 pipeline such as to avoid that area as opposed to dealing
6 with the hazardous material.

7 And in Darien on Route 1, again that was a
8 gasoline release under the roadway where Yankee Gas just
9 handled the disposal of the hazardous material. In other
10 words, when you opened up the trench, you could smell the
11 gasoline. Again when you're talking a four-foot opening
12 basically down approximately three, three and a half
13 foot, there's not a whole bunch of material there, so we
14 -- we collected it and disposed of it properly, and again
15 looking for the generator to compensate the company for
16 that release.

17 I'm also being told that typically the DEP
18 does not require the generators to clean up the migrating
19 materials such as gasoline underneath the roadway. The
20 basic cleanup virtually stops at the edge of the
21 properties, such that under the roadbeds it's not typical
22 to pursue underneath the public roadway. So that's --
23 I'm not -- I do not have firsthand knowledge of that,
24 it's just what was passed on to me as a general practice.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 So those are the encounters of Yankee Gas that were
2 reported to me in this short timeframe.

3 CHAIRMAN KATZ: Mr. Emerick.

4 MR. EMERICK: Just a follow-up. Based on
5 -- based on the examples that were just given, I think
6 the practice is if it's a State mandated relocation of a
7 utility, contaminations encountered, DOT steps forward
8 and pays for the cost. If it's a utility initiated
9 project, it seems as though the utility picks up the cost
10 unless there's an obvious third party, and then you try
11 and recover costs from that third party. Why in this
12 case, based on my understanding of the discussion
13 yesterday, is it different?

14 MR. ZAKLUKIEWICZ: I believe all we were
15 saying was the position of -- we're not certain what
16 we're going to encounter. Quite clearly if the generator
17 of the hazardous material is a known group or an entity,
18 we would pursue as we have -- as I stated yesterday, we
19 would do the proper thing with the material to begin
20 with, properly dispose of the material in an appropriate
21 manner, basically follow all the remediation standards
22 and regulations of the State of Connecticut, and then
23 turn around and try to recover as much as we can, such
24 that the ratepayers are not paying for the disposals of

HEARING RE: CL&P and UI
APRIL 21, 2004

1 someone else's generated materials.

2 My own sense, I think I also stated, is
3 that in the past we have worked this out with the State
4 of Connecticut, and I do not feel it's appropriate for
5 myself to give a blanket order here stating that we will
6 absolutely unequivocally pay for a hundred percent of the
7 materials that we may find by placing the proposed route
8 24 miles underground. I'm not certain what we're going
9 to run into. If that hazardous material was dumped on
10 the ground by a contractor working for the State of
11 Connecticut in placing the roadbed in, is it appropriate
12 for the ratepayers of the State of Connecticut to pay for
13 that cleanup?

14 MR. RICHARD REED: I think what we're
15 saying is it's --

16 COURT REPORTER: A mic --

17 MR. REED: -- it is the same. And if --
18 if the State were the generator of it, then we would go
19 to the State. If a gas station owner were the generator
20 of it, we'd try to go to the gas station. So it is not
21 any different than what we would do anywhere else.

22 MR. EMERICK: Okay. Based on the
23 questioning or discussion yesterday, it seemed to me that
24 the practice that you currently explained to us this

HEARING RE: CL&P and UI
APRIL 21, 2004

1 morning would somehow be different in this project, and -

2 -

3 MR. REED: It is not.

4 MR. EMERICK: It is not.

5 CHAIRMAN KATZ: Mr. McDermott, any other
6 reports?

7 MR. McDERMOTT: One more. Mr. Prete, you
8 were asked to determine the cost of relocating a HPPF
9 cable in connection with the Quinnipiac Bridge
10 construction?

11 MR. PRETE: That is correct. We're not
12 totally finished with that homework assignment. We
13 should clean it up before the end of today.

14 CHAIRMAN KATZ: Thank you. Just remind me
15 before we adjourn today.

16 MR. McDERMOTT: Okay. And the only other
17 assignment was -- I provided Mr. Cunliffe with copies of
18 Mr. Hair's CV. And copies for the parties and
19 intervenors are on the table --

20 CHAIRMAN KATZ: Okay, he's --

21 MR. McDERMOTT: -- towards the entrance
22 there.

23 CHAIRMAN KATZ: He's the directional drill
24 guy?

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. McDERMOTT: Correct --

2 CHAIRMAN KATZ: Okay. So we --

3 MR. McDERMOTT: -- he testified for most
4 of yesterday afternoon.

5 CHAIRMAN KATZ: So do we need to -- is
6 that an exhibit already -- has that been verified?

7 MR. McDERMOTT: Yes. And it's Exhibit No.
8 60.

9 CHAIRMAN KATZ: Okay, so that's all set?

10 MR. McDERMOTT: Yes. And that's the end
11 of our homework assignments I believe.

12 CHAIRMAN KATZ: Thank you. Mr. O'Neill.

13 MR. O'NEILL: Mr. Zak -- is my mic on?
14 Thank you. Obviously when we are discussing old
15 industrial sites in well established municipalities, such
16 as Bridgeport, the issue of brownfields must come up
17 occasionally when you're doing digging. If the
18 underground line goes through the middle of a
19 municipality such as Bridgeport and there are brownfields
20 recognized; who does the remediation work or who picks up
21 the tab in those areas? Is it a clear situation or is it
22 subject to further review and further discussion?
23 Hopefully not litigation.

24 MR. ZAKLUKIEWICZ: In my mind if we were

HEARING RE: CL&P and UI
APRIL 21, 2004

1 in a recognized brownfield, that's a risk we take on when
2 we do an evaluation of the different sites and the
3 different routes that are affected here. And I think we
4 would have those discussions with the towns and the
5 environmental groups, including the DEP, as to where the
6 risks are minimal to the entire public, and take that
7 into account into the final routing. And if we knew of
8 some of those beforehand for which we will do the survey
9 work, we will put that into the D&M plan with discussion
10 and arguments, pros and cons about route A versus route B
11 and make the Council aware of that at the time the D&M
12 plans are filed. And prior to that time, we would have
13 those discussions with the towns beforehand because they
14 will participate in the development of the D&M plans.
15 And we would also consult with agencies such as the DEP
16 in putting together the D&M plans to start with.

17 MR. O'NEILL: Thank you.

18 CHAIRMAN KATZ: Are there any other
19 Council questions on the homework assignments? Mr.
20 Lynch.

21 MR. LYNCH: Just a follow-up on the
22 hazardous material. If you do encounter hazardous
23 material outside of a brownfield and you cannot find who
24 the original generator was or they've long since gone out

HEARING RE: CL&P and UI
APRIL 21, 2004

1 of business, am I clear that you would then maintain the
2 entire cost and then come back to the State and give them
3 the old Joan Rivers' line "we've got to talk"?
4 (Laughter).

5 MR. ZAKLUKIEWICZ: I'm not -- I'm not
6 familiar with Joan Rivers, but -- (laughter) -- let's put
7 it this way, give it the Roger Zak, "can we negotiate
8 here as to the responsibility". And clearly, clearly I
9 want to leave with the Council, this material,
10 irrespective of who's going to pay for it on this
11 project, will be collected, will be properly disposed of,
12 there will be documentation for it, and we will discuss
13 with somebody later on if the companies can recover some
14 of those costs.

15 MR. LYNCH: Thank you.

16 CHAIRMAN KATZ: Can we -- can we assume
17 though if such a situation comes about, that the Council
18 can be assured that the independent environmental
19 inspector during construction will be involved in
20 handling this issue?

21 MR. ZAKLUKIEWICZ: If -- if that becomes
22 part of the requirements, which were part of the Docket
23 217 requirements, we would naturally -- in our
24 discussions we've already identified that we would have

HEARING RE: CL&P and UI
APRIL 21, 2004

1 such a person on board, along with a safety person or
2 persons. Clearly on a project this large, you would need
3 an entity to assist Northeast Utilities and UI in
4 ensuring the environment is not harmed in any way.

5 CHAIRMAN KATZ: Okay, so I'm going to take
6 that as a yes that that's a reasonable condition.

7 MR. ZAKLUKIEWICZ: A long -- I apologize
8 for that. Yes.

9 MR. O'NEILL: Mr. Prete, would you like to
10 offer any additional comment on this issue?

11 MR. PRETE: No, not right now, thank you.

12 MR. O'NEILL: Thank you.

13 CHAIRMAN KATZ: Mr. Prete, Professor Tait
14 is a new fan of your brevity -- (laughter). Any other
15 Council questions on the homework assignments? Is there
16 any party or intervenor who has a question specifically
17 on these homework assignments? Mr. Golden.

18 MR. GOLDEN: Madam Chair, I have one
19 question on something related to the homework assignment,
20 a read-in from yesterday having to do with additional
21 HPFF lines that were constructed by other utilities. May
22 I --

23 CHAIRMAN KATZ: Yes, we can do that now.
24 And then after we finish that, we'll do the lunch break.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. FITZGERALD: And is it the case that
2 Mr. Kegerise --

3 CHAIRMAN KATZ: Yes --

4 MR. FITZGERALD: -- and Miss BenKinney can
5 be excused after lunch?

6 CHAIRMAN KATZ: Mr. Cunliffe, can we
7 excuse those witnesses?

8 MR. CUNLIFFE: It's the Chairman's call.
9 (Laughter).

10 COURT REPORTER: Madam Chair, before they
11 go, I'll need some spellings from them.

12 CHAIRMAN KATZ: Yes, please stop and see
13 the court reporter. Yes, you are excused. Yeah, Mr.
14 Golden.

15 MR. GOLDEN: Yes. For the record my name
16 is Larry Golden, counsel for the Woodlands Coalition.

17 Mr. -- my question will be to Mr. Zak.
18 Mr. Zak, yesterday you read-in in the afternoon some
19 information about underground construction for N-STAR or
20 its predecessor in the Greater Boston area. Do you have
21 any information as to the depth at which the pipes were
22 laid below the roadways -- city and state roadways?

23 MR. ZAKLUKIEWICZ: It's my information on
24 the North Star installations, which are going back into

HEARING RE: CL&P and UI
APRIL 21, 2004

1 the 1980's, that the HPPF cable pipes are placed
2 approximately three-foot below top of grade on those
3 installations in the N-STAR service territory.

4 MR. GOLDEN: Thank you very much.

5 CHAIRMAN KATZ: Is there any other
6 business we need to do before the lunch break? Seeing
7 none, we are adjourned until 1:00 o'clock.

8 (Whereupon, a luncheon recess was taken.)

9 CHAIRMAN KATZ: I call this hearing back
10 into session. I understand the Applicant has a report on
11 a homework assignment. Why don't we do that first.

12 MR. McDERMOTT: Mr. Prete -- okay? Mr.
13 Prete, have you had an opportunity to complete your
14 inquire regarding the cost of relocating a cable in
15 connection with the construction of the Quinnipiac
16 Bridge?

17 MR. PRETE: Yes, we have.

18 MR. McDERMOTT: And would you please
19 report?

20 MR. PRETE: Yes, I will. The estimated
21 cost of a relocation of two 115-kV high pressure fluid
22 filled lines in and around the Q Bridge area is
23 approximately five million a mile. For comparison
24 purposes that does not include terminations, river

HEARING RE: CL&P and UI
APRIL 21, 2004

1 crossings, return pipes, and of course the voltage is
2 different just to give you a fair comparison to the
3 numbers that we have in our application.

4 CHAIRMAN KATZ: So bottom line, if you
5 include all those other things in?

6 MR. PRETE: If you include all those other
7 things, it's probably another million on top, a million
8 and a half, so it's probably fair to say about six.

9 CHAIRMAN KATZ: Any questions on that
10 assignment?

11 MR. ASHTON: Did you use directional
12 drilling in replacing that cable?

13 MR. PRETE: No, sir.

14 MR. ASHTON: It was trenching?

15 MR. PRETE: Yes.

16 CHAIRMAN KATZ: Okay, that completes the
17 homework assignments?

18 MR. McDERMOTT: That's correct.

19 CHAIRMAN KATZ: Okay. At this time, we'll
20 go to Council questions of the entire panel. And Mr.
21 Cunliffe, do you want to start us off.

22 MR. CUNLIFFE: Thank you. In regards to
23 the proposed change in Norwalk, what discussions have you
24 had with the City?

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MS. BARTOSEWICZ: The -- can you clarify
2 the proposed change in Norwalk?

3 MR. CUNLIFFE: The proposed change in
4 Norwalk on crossing under the Norwalk River entering the
5 substation?

6 MS. BARTOSEWICZ: Yes. We have not had a
7 discussion with Norwalk yet. The crossing of that river
8 in a diagonal instead of a 90-degree angle is a recent
9 detailed engineering discussion and evaluation. Our next
10 step would be to talk to the City to make sure it's okay
11 with them.

12 MR. CUNLIFFE: And what was the --

13 CHAIRMAN KATZ: And when will that happen?

14 MS. BARTOSEWICZ: We need -- as soon as
15 possible.

16 CHAIRMAN KATZ: Okay. I'm going to
17 include that on the June wrap-up day, I'd like a report
18 back on that.

19 MS. BARTOSEWICZ: Certainly.

20 MR. CUNLIFFE: What is the length of --
21 are you going to do a directional bore for that crossing?

22 MS. BARTOSEWICZ: Yes.

23 MR. CUNLIFFE: Do you know the distance
24 for that?

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MS. BARTOSEWICZ: Approximately, 600 feet.

2 MR. CUNLIFFE: Are any of the proposed
3 directional drills longer than any of the cable lengths
4 that you will be using?

5 MS. BARTOSEWICZ: No.

6 MR. CUNLIFFE: Thank you.

7 CHAIRMAN KATZ: And what's the longest
8 directional drill you can therefore have based on cable
9 length?

10 MR. WILLIAMS: Excuse me. I would
11 estimate in the order of -- I'm sorry -- I would estimate
12 the longest to be in the order of 2,500 to 2,800, maybe
13 3,000 feet.

14 CHAIRMAN KATZ: To avoid splicing, which
15 is difficult?

16 MR. WILLIAMS: We cannot splice if there's
17 directional drill, that's right.

18 CHAIRMAN KATZ: Thank you.

19 MR. EMERICK: Pam -- Madam Chair?

20 CHAIRMAN KATZ: Yeah, Mr. Emerick.

21 MR. EMERICK: If we can get cable that's
22 twenty-five hundred, 3,000 feet for a directional drill,
23 why is it that in roadways we have a manhole every,
24 whatever it is, fifteen hundred feet?

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. WILLIAMS: I believe the typical
2 manhole spacing should be a bit larger than that. For --

3 MR. EMERICK: Well, what is it? Is it
4 3,000 feet or twenty-five hundred? I thought it was
5 shorter than the dimensions of the cable you just
6 mentioned, but --

7 MR. WILLIAMS: Yes, it --

8 MR. JAMES HOGAN: Part of it could be
9 associated with pulling tensions, it would limit it to a
10 shorter length.

11 MR. WILLIAMS: Another part of it is a
12 directional drill is a separate undertaking from a
13 conventional trench installation, so you would get a
14 larger reel that would require special permits for
15 shipping over land or perhaps even water shipment for the
16 very long ones. So the equipment used and material
17 supplied is different for a directional drill versus
18 conventional in streets. We design the in-street for
19 standard reels and standard conditions, and the
20 directional drill we pull out all the stops and do what
21 we have to do.

22 MR. EMERICK: But in terms of -- well what
23 -- how many more manholes are there? I mean, you know,
24 doing a manhole, a splice, as it's been explained here in

HEARING RE: CL&P and UI
APRIL 21, 2004

1 a controlled environment, weeks of construction,
2 etcetera, etcetera -- I would think the longer the
3 lengths of cable you can get, you avoid that need and
4 that expense. And obviously it's a balancing act, but --

5 MR. HOGAN: Part of that balancing act has
6 to do with as you're going down the route where you're
7 turning angles, maybe you're trying to coordinate between
8 utilities being in or out of intersections, and some of
9 those things will start to dictate. I know we're
10 thinking closer to 2,000 foot might be a good starting
11 number to space them, and then you could have some
12 latitude closer if for some reason you need to or span
13 out a little more if you can in certain areas.

14 MR. EMERICK: Okay, thank you.

15 MR. CUNLIFFE: Is the Applicant aware of
16 correspondence from the City of Milford to the Siting
17 Council dated April 16, 2004? It does copy the service
18 list, so I presume it's been provided.

19 MS. BARTOSEWICZ: Can I have that date
20 again?

21 MR. CUNLIFFE: April 16, 2004 from Mayor
22 Richetelli to Chairman Katz?

23 MS. BARTOSEWICZ: Yes.

24 MR. McDERMOTT: Mr. Cunliffe, we received

HEARING RE: CL&P and UI
APRIL 21, 2004

1 a copy of that -- (indiscernible) -- to the City of
2 Milford, and copies are -- additional copies are being
3 made, so we can provide it to the Council and the service
4 list.

5 MR. CUNLIFFE: Has the company considered
6 an alternative location as identified in this letter?

7 MS. BARTOSEWICZ: Actually, the companies
8 considered this alternative location when we were first
9 doing design of the line essentially when the project --
10 we were looking at an all overhead solution, we were
11 looking at the property that this letter refers to. When
12 our design changed to an overhead/underground solution,
13 we looked at the property that's in the application as a
14 better property for the design of the project.

15 CHAIRMAN KATZ: Can you elaborate what's
16 wrong with the Blackite location?

17 MS. BARTOSEWICZ: Certainly. There are
18 actually several problems with the Blackite Corporation
19 property. First of all, there are businesses currently
20 on that property that would have to be acquired or at
21 least gotten off the property.

22 The new design of the overhead/underground
23 line would require us to cross Oronoke Road, which is on
24 the -- the Blackite property is west of Oronoke Road, the

HEARING RE: CL&P and UI
APRIL 21, 2004

1 property in the application is east of Oronoke Road. So
2 if you were to come -- in order to connect the existing
3 transmission lines to a substation on the Blackite
4 property, you would have to cross Oronoke Road and the
5 railroad that's there. So you've got two more crossings
6 of a public road and a railroad to deal with where the
7 application property would not require it.

8 You would also have to -- we're connecting
9 the Milford Power Plant to these -- to this part of the
10 transmission line. The generator leads from the power
11 plant would have to cross to the Blackite property.

12 CHAIRMAN KATZ: So the reasons you listed
13 seem to be cost oriented? They sound like they're
14 technically feasible to do, but they're going to cost
15 money. Is that a fair statement?

16 MS. BARTOSEWICZ: Those are technically
17 feasible to do. The -- another point of the property
18 that's the Blackite property is we believe it is a -- was
19 a repository for fly ash. So we believe that that
20 property is contaminated.

21 CHAIRMAN KATZ: And it's your belief that
22 the Jordan Realty property that you're interested in is
23 not contaminated?

24 MS. BARTOSEWICZ: We -- we do not know if

HEARING RE: CL&P and UI
APRIL 21, 2004

1 that's a fact or not. We have not been certainly allowed
2 on that property to get that information. It would be
3 required for us to do an investigation of the property
4 prior to any kind of construction.

5 MR. WILENSKY: Madam Chairman.

6 CHAIRMAN KATZ: Mr. Wilensky.

7 MR. WILENSKY: Have you tested the
8 Blackite property as far for contamination? You said you
9 believe. I was wondering do you know?

10 MS. BARTOSEWICZ: Correct. We -- we have
11 not been allowed on that property. As a matter of fact,
12 when we were originally discussing the purchase of this
13 property, we requested to be allowed on to test the
14 property and we were denied that request.

15 MR. WILENSKY: So you -- have you been
16 allowed to test either one of the properties?

17 MS. BARTOSEWICZ: No, we have not.

18 MR. WILENSKY: Based on this letter,
19 wouldn't you be allowed to test the Blackite property?

20 MS. BARTOSEWICZ: The owners of the
21 Blackite property have not allowed us to test that
22 property before taking ownership of that property.

23 MR. WILENSKY: Okay, thank you.

24 MR. CUNLIFFE: Those are my questions.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: Thank you. We'll go to --

2 MR. JAMES J. MURPHY, JR.: Let me ask you
3 this, you mean they would require you to buy it without
4 even doing a Phase 1 environmental test of the property?

5 MS. BARTOSEWICZ: That's correct.

6 MR. MURPHY: I can't blame you for not
7 wanting it.

8 MS. BARTOSEWICZ: Thank you.

9 CHAIRMAN KATZ: Council questions? Why
10 don't we start down -- Mr. Lynch, why don't we start at
11 your end.

12 MR. LYNCH: No questions.

13 CHAIRMAN KATZ: Mr. Wilensky.

14 MR. WILENSKY: I'd like to ask Mr. Gregory
15 a question. Whether this is appropriate or not, Madam
16 Chairman, I don't know. If it isn't appropriate, shut me
17 off.

18 Mr. Gregory, I know when we did Phase I,
19 there was an amount of underground that we thought -- you
20 thought would be feasible and practical, which is
21 considerably less than is talked about for the -- going
22 through Milford -- I'm sorry, going through Westport and
23 Darien and -- not Darien -- Westport and Wilton and so
24 forth and so on. I think it's 20 plus miles. Why are we

HEARING RE: CL&P and UI
APRIL 21, 2004

1 able to do this now and couldn't do it then?

2 MR. BRIAN GREGORY: I'm not sure that I
3 can answer that because I haven't made these decisions.
4 I think what I said before was -- I explained the
5 limitations that could exist on cables. And for long
6 length limitations were such things as reactive
7 compensation, to compensate against the capacitive effect
8 on the network. And we discussed then that we could have
9 intermediate stations in which we had reactors to provide
10 inductors to compensate for that along the route. And so
11 basically you can extend the length by putting inductors
12 in.

13 MR. WILENSKY: Are you comfortable with
14 this proposal to go underground for 20 plus miles,
15 whatever the miles are, are you comfortable with that
16 amount of mileage for underground?

17 MR. GREGORY: Yes, I am. I mentioned
18 before that the whole purpose and objective of under-
19 grounding is to have a very reliable design of cable.
20 And the HPFF cable that's been selected here is selected
21 on the basis of proven service performance in other parts
22 of the U.S.A. And providing there is the appropriate
23 system design compensation, there's no reason why the
24 circuit shouldn't be this length.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. WILENSKY: Thank you. Thank you very
2 much. Thank you, Madam Chairman.

3 MR. MURPHY: No questions, Madam Chairman.

4 CHAIRMAN KATZ: Mr. O'Neill.

5 MR. O'NEILL: I would appreciate it if you
6 would, Mr. Gregory, reflect upon the challenges presented
7 when solid cable is used in a project and then interfaces
8 with a fluid filled cable?

9 MR. GREGORY: Do you want me to explain
10 that?

11 MR. O'NEILL: Yes, if you wouldn't mind.

12 MR. GREGORY: Yes. It's quite formidable
13 for engineers. In this situation the fluid filled cable,
14 the high pressure fluid filled, as we've heard, is
15 pressurized to 200 pounds per square inch. On the solid
16 cable, which is cross-link polyethylene insulation, there
17 is only atmospheric pressure. So at the point of
18 interface if you have a transition joint, then in the
19 manhole in the jointing vault you have a joint which has
20 to do a number of things; one is to join the conductor
21 together to transfer the current, another is to preserve
22 the electrical insulation between the conductor and the
23 ground to withstand the voltage, and in this case also to
24 withstand the fluid pressure. And the fact that the

HEARING RE: CL&P and UI
APRIL 21, 2004

1 joint has to have a hydraulic bearing to withstand the
2 pressure means that the pressure also generates a force,
3 the force is equal to the pressure times the cross-
4 section area of the joint. So the joints are very much
5 more complex. And it becomes difficult for these joints
6 to withstand the mechanical forces and to prevent the
7 fluid entering the cross-link polyethylene cable and to
8 work electrically and withstand the voltage. Now if the
9 fluid enters -- leaks into the cross-link polyethylene
10 cable, it's likely to start to degrade the cable,
11 especially the semi-conducting screens, the shields. And
12 conversely of course if the fluid escapes from the pipe,
13 in the end it will require the system to be switched out
14 until the leak could be repaired. So these -- these
15 joints are probably the most difficult type of joint in
16 the world to design and to operate.

17 MR. O'NEILL: Do you know of any instances
18 where there were two different types of underground
19 cables used to address concerns regarding the slope of
20 the land for example?

21 MR. GREGORY: Not specifically. Generally
22 the choice would be made initially for one type of cable
23 or another.

24 MR. O'NEILL: I see.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. GREGORY: And generally at this
2 voltage, 345-kV, if one was choosing say a short length
3 of XLPE cable, one would prefer to have outdoor
4 terminations so the cable system is within known
5 technology. The outdoor termination is known in its
6 performance and so is the splices, and you're not mixing
7 and getting the worst of both combinations.

8 MR. O'NEILL: So it wouldn't be as much of
9 a challenge if you were to go above ground and use solid
10 cable as obviously making two different types of
11 underground --

12 MR. GREGORY: Yeah. If you come above
13 ground, it's -- you can treat them as completely separate
14 and there's no problem.

15 MR. O'NEILL: Thank you very much.

16 CHAIRMAN KATZ: Mr. Ashton.

17 MR. ASHTON: Several questions. Mr.
18 Williams, first of all, refresh us as to the general
19 nature of the history of failure of 345 cables on the
20 Con-Ed system? I'm aware they had some failures, but
21 typically what were they caused by? Are they likely to
22 occur on new installations, that type of thing?

23 MR. WILLIAMS: Con-Ed installed its first
24 345-kV cable switch or high pressure fluid filled, HPFF

HEARING RE: CL&P and UI
APRIL 21, 2004

1 cables in 1964, and they put in quite a number of miles,
2 a bunch of shorter length circuits of course, but
3 totaling almost a hundred miles.

4 In the late 1960's and early 1970's there
5 were several failures that were caused by thermal
6 mechanical bending, a movement of the cables within the
7 joint casing that flexed the cables and caused the
8 eventual failure of several occurrences. Con-Ed rebuilt
9 -- they designed a joint with restraints that would
10 prevent that happening --

11 MR. ASHTON: This was in a shaft as I
12 recall, is that correct?

13 MR. WILLIAMS: In Con-Ed's case it
14 happened just in street runs as well as perhaps in
15 shafts, yes.

16 MR. ASHTON: Okay --

17 MR. WILLIAMS: The ones I'm familiar with
18 with Con-Ed actually were not in shafts, they were in
19 runs -- just main runs in the street.

20 MR. ASHTON: Have you had any problems
21 with dig-ins?

22 MR. WILLIAMS: There have been over the
23 years a couple of occasions where dig-ins have caused
24 cable failures, yes.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 Just to complete the story, with this
2 thermal mechanical bending, that was identified as a
3 problem and it has been solved. And all new cables
4 installed since the early 1970's have these restraints
5 installed. And I do not know of any splice failures that
6 have occurred due to thermal mechanical bending since
7 that time.

8 MR. ASHTON: Are you familiar with the
9 terrain of the route selected in this case?

10 MR. WILLIAMS: Yes.

11 MR. ASHTON: Do you feel there's anything
12 remarkable about it that would potentially lead to
13 problems?

14 MR. WILLIAMS: I don't believe so. Con-Ed
15 even though it has a small service territory, actually
16 has some fairly rough terrain with several hundred foot
17 elevation changes coming from West Chester down into the
18 City. They have water crossings, city street
19 installations. So even though the area is different here
20 from on the Con-Ed system, I think all of the conditions
21 that would be seen on the potential lines here have been
22 one place or another within the Con-Ed system been
23 installed and operate satisfactorily.

24 MR. ASHTON: Um-hmm. Well, I guess the

HEARING RE: CL&P and UI
APRIL 21, 2004

1 next question is probably for Mr. Gregory as well as you,
2 and that is when a joint -- when you have to freeze a
3 section, a location in order to seal off that piece for
4 repair or whatever, is there any damage caused by
5 freezing to the cable at all?

6 MR. WILLIAMS: No. There's actually be a
7 fair amount of testing. This freezing you describe is
8 done not only for failure repair but also for cut --
9 relocation. So there's been a fair amount of testing.
10 And the freeze has been dozens of times. There has been
11 once incidence that I know of in which the cable has
12 moved slightly and in the area of the freeze there needed
13 to be a repair done, but that's one time out of many
14 dozens of times.

15 MR. ASHTON: Um-hmm.

16 MR. GREGORY: I would agree with that.
17 With low pressure fluid filled, the method also is used
18 extensively. And the strict rule is not to move the
19 cable where you freeze.

20 MR. ASHTON: Not to move the cable where
21 you freeze?

22 MR. GREGORY: Yeah.

23 MR. ASHTON: Yeah.

24 MR. LYNCH: Excuse me. Mr. Williams, not

HEARING RE: CL&P and UI
APRIL 21, 2004

1 being as familiar as Mr. Ashton, could you explain how
2 freezing is actually accomplished?

3 MR. WILLIAMS: Sure. Freezing is needed
4 when you need to access the cable pipe to make repairs or
5 to relocate. You have to get at the conductors, you need
6 to stop the dielectric liquid from leaking out and
7 messing up your work. So what is done is a pit is
8 excavated, 25 or 50 feet away from where you're going to
9 be doing your work, either a stainless steel jacket or a
10 coil of copper tubing is placed around the cable pipes
11 after you remove the coating, liquid nitrogen is run
12 through for a period of six to twelve hours until a
13 temperature is achieved at which the cable fluid is
14 frozen over a length of perhaps eight to ten feet to
15 withstand the hydraulic head of the dielectric liquid
16 that's uphill from that location. That freeze is
17 maintained using the liquid nitrogen until you've
18 completed all the work on your repair and you're ready to
19 reintroduce the fluid.

20 MR. LYNCH: Thank you.

21 MR. ASHTON: I have several other
22 questions, but I'm not sure this is the right panel and
23 the right time at which to ask them, but let me identify
24 what the issues are I want to talk about. One is line

HEARING RE: CL&P and UI
APRIL 21, 2004

1 charging as a result of the cable. Is -- Mr.
2 Zaklukiewicz, I'll look at you, is this the right panel
3 to talk about this issue?

4 MR. ZAKLUKIEWICZ: We can discuss it.

5 MR. ASHTON: Okay. Let's try it anyway.
6 One of the concerns that arose in Docket 217 was the
7 impact of line charging on the reliability of the area,
8 making the area goliting, to use a term of art, and
9 generators in the area to goliting. Does anybody on the
10 panel have any comment on that phenomenon as it relates
11 to the installation of the substantially increased length
12 of high voltage underground cable?

13 MR. ZAKLUKIEWICZ: Those are the results
14 of the studies that are taking place at this time, is how
15 in a steady state condition do you deal with the line
16 charging that is associated with the cable systems. I
17 believe we've testified before the cables -- the two
18 cables in parallel have approximately 42 mega-VARS per
19 mile. When you multiply that by the 24 miles, you're
20 approaching close to 1,000 mega-VARS that you have to
21 compensate for and operate the system to. And clearly
22 with the 10 plus miles of HPFF on the Bethel to Norwalk
23 project plus the 2.3 miles I believe of the cross-link
24 polyethylene all toll in this Southwest Connecticut area,

HEARING RE: CL&P and UI
APRIL 21, 2004

1 we have just introduced a tremendous amount of mega-VARS
2 that are a concern to Northeast Utilities and are a
3 concern to ISO New England, which has the overall
4 responsibility to operate the system.

5 This is the challenge that is before us.
6 We plan to compensate up to approximately 70 percent of
7 the cables with shunt reactors. However, the issue comes
8 up of what do you do with the system should you have to
9 take the shunt reactors out for maintenance and what
10 happens to the total VARS of the system should at any
11 given time under different scenarios of load dispatch,
12 where -- where are you at that time.

13 Clearly -- if I go back in history a
14 little bit, the CL&P system, when I look back at what did
15 we do in the mid 90's as a result of shutting down of the
16 nuclear units in the State of Connecticut, we interjected
17 a tremendous amount of capacitors onto the system to
18 reliably operate the system, to hold the voltage up as a
19 result of the lack of generation in the State of
20 Connecticut. And that was required as a result of the
21 magnitudes of the imports of power that were required in
22 '96, '97 and '98 to keep the lights on. So even before
23 we started looking at the Bethel to Norwalk project, we
24 were, if you will, an unusual utility to begin with.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 With the amount of amount of load that we have on the
2 system and the amount of capacitors that we have
3 installed on the system, we were -- in our analysis there
4 was no other utility anywheres close to where Connecticut
5 was on the range of here is the amount of capacitance --
6 capacitors installed relative to the short circuit duty
7 of the system itself.

8 The issue of what do we do with the
9 capacitors is one for which when Mitch Kowalski was here
10 with the ISO team, and that was Steve Whitley, Mr.
11 Kowalski testified they're still studying the situation
12 and there are some contingencies and some dispatches --
13 generation dispatches where they feel the system is not
14 responding in the manner that they would like to see, and
15 there's some issues associated with operating the system
16 in a reliable manner.

17 Let me give you an analogy. With an all
18 overhead system, the system basically is operating like a
19 car on a highway. In a car you have fairly well control
20 of the system. Should there be an accident in front of
21 you, should someone pass you and kind of cut you off, you
22 have -- you have some control. If something -- for a
23 vehicle breakdown, you're able to control that vehicle as
24 long as you keep a safe distance and you're driving

HEARING RE: CL&P and UI
APRIL 21, 2004

1 within the speed limits, you have total control of the
2 system for basically -- virtually any -- any -- any
3 occurrence that comes before you, you should have control
4 of the system. Once we start putting the cables in the
5 Bethel to Norwalk project on and place them in service,
6 you've now taken from a vehicle, such as an automobile,
7 you've just now went to a trailer truck. And in my
8 analogy this trailer truck may be a trailer truck with a
9 horse and one or two trailers attached to the back end.
10 And as we know of trailer trucks, they do not have the
11 same capabilities as the vehicle does. We see a lot more
12 accidents under slippery road conditions, we see a lot
13 more jackknifing of trailer trucks as opposed to
14 jackknifing of vehicles on the highways. We see a lot
15 more accidents involved at the speed you're able to
16 operate the system. However, that trailer truck on a
17 straight road with no other vehicles on the highway, no
18 other circumstances that I have to drive through under
19 various conditions, that trailer truck is totally safe
20 and it operates fine. Our concern now is that -- I've
21 taken that trailer truck now and I may have added one or
22 two more or three more trailers on it, so I have the
23 horse and now I don't have a single trailer behind the
24 horse, I may have three or four or five trailers attached

HEARING RE: CL&P and UI
APRIL 21, 2004

1 to that horse.

2 COURT REPORTER: One moment please.

3 (Pause). Thank you.

4 MR. ZAKLUKIEWICZ: And as long as I'm
5 going down the highway where there are no other vehicles
6 on the highway and there are no other cases where I need
7 to stop this vehicle rather suddenly because of an
8 accident, because of someone cutting me off the road,
9 because someone had a breakdown and the traffic all backs
10 up as I come around the bend, and even though I'm driving
11 at the same speed, when I have slippery road conditions,
12 when I have some icing, when I have some snow, when I
13 have any of these other conditions, the control of this
14 trailer with three or four trailers all in a series
15 behind it becomes a serious issue. Can I operate under
16 all of the conditions that one would face driving a
17 trailer truck with a tandem of trailers behind it,
18 meaning more than two, all the way from Baltimore to
19 Boston and ensure that I can get from one location to the
20 other without having an accident. With the utility
21 system when you think of all of the conditions that
22 confront a trailer truck driver, when you think of the
23 contingencies that are out there on this interconnected
24 system and a combination of dispatches that are before

HEARING RE: CL&P and UI
APRIL 21, 2004

1 you, that's where I really have a concern. And we can do
2 studies and we can say under the ideal conditions, no
3 snow, no ice, no rain, no breakdowns, no one is cutting
4 me off, no other lane changes, no construction taking
5 place where I'm going from four lanes to two lanes, or
6 whatever in the road system, I can get from Baltimore to
7 Washington -- I mean Baltimore to Boston without any
8 problems, when I take into account all of these other
9 experiences I need to travel through and I incorporate
10 now and look at the power system and say what combination
11 of transmission lines are being worked on, what
12 generation is available for those hours, what is the load
13 at any given minute because it's totally -- it varies
14 from minute to minute, what combinations of generation
15 are on and at what locations are they, it makes one awful
16 nervous that they can sit before this body and say yeah,
17 this is -- this will work under all of these conditions
18 and all of these combinations, something that has never
19 before been a real issue with overhead transmission
20 lines.

21 In the past we've worried primarily with
22 the thermal overloading, we've worried somewhat on the
23 transfers. And the capacitance of an overhead
24 transmission line is approximately one-twentieth what it

HEARING RE: CL&P and UI
APRIL 21, 2004

1 would be for cables. And now when we inject in a rather
2 small area this much capacitance for a cable, it is of
3 concern. We think we can operate the cable systems as
4 proposed.

5 And Mr. Wilensky asked the question before
6 what are the differences. Well, part of the differences
7 are -- is that we have taken 24 miles of cable, but we've
8 also injected a substation power in between. In other
9 words, you've gone with a full switching capability from
10 East Devon down to Singer and then from Singer to
11 Norwalk, so you -- in the Bethel to Norwalk project we
12 were talking about a 22-mile cable -- or a 21-mile cable
13 without a substation in between. In other words, you
14 were switching at the either Plumtree Substation in
15 Bethel or you were switching at the Norwalk Substation at
16 the southern end of the Bethel to Norwalk line. In this
17 case we are going to be able to switch each of the two
18 sets of cables separately in sections of eight miles and
19 in sixteen mile lengths as opposed to having an entire
20 cable of 21 miles. A major difference, because now I am
21 switching at any given time a shorter length of cable
22 with less capacitance and reactors now at each one of
23 those terminus both at Singer and at East Devon and at
24 Norwalk.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: Mr. Zak, that eight miles
2 that you referred to is East Devon to Singer, is --

3 MR. ZAKLUKIEWICZ: East Devon to Singer is
4 eight miles --

5 CHAIRMAN KATZ: Eight miles --

6 MR. ZAKLUKIEWICZ: -- and it's
7 approximately 16 miles from Singer to Norwalk on the
8 proposed route.

9 CHAIRMAN KATZ: So that is the logical
10 breaking off point at Singer --

11 MR. ZAKLUKIEWICZ: That is -- that is the
12 break off point where in the Bethel/Norwalk project we
13 did not have proposed say a substation at the
14 Redding/Wilton line or in some area of it --

15 CHAIRMAN KATZ: Yeah --

16 MR. ZAKLUKIEWICZ: -- so you were
17 switching the entire 21 miles all at one time.

18 CHAIRMAN KATZ: Mr. Ashton, can I ask a
19 question while we're at this point?

20 MR. ASHTON: You're the chairman.

21 CHAIRMAN KATZ: Well. Let's -- let's take
22 this hypothetical -- this is usually where the
23 Applicant's attorney goes into cardiac arrest, but I'm
24 going to ask it -- (laughter) -- let's say on -- you show

HEARING RE: CL&P and UI
APRIL 21, 2004

1 -- on the route map from East Devon to Singer you show an
2 eight-mile alternative overhead along the railroad.
3 Let's say that this Council, hypothetically, said let's
4 take that eight miles and use it somewhere else. If we
5 have a maximum of 24 miles underground, let's take that
6 eight miles and go overhead along the railroad from East
7 Devon to Singer and use that eight miles of underground
8 somewhere more on the northern part of the proposed
9 route. Is that doable if we -- because we still have a
10 maximum of 24 miles underground, could we do -- does that
11 -- can that eight miles be moved?

12 MR. TAIT: Do they need to be contiguous?
13 In other words, the 16 and the 8 together or can we
14 separate them and place them where we think they might be
15 better utilized?

16 CHAIRMAN KATZ: Right.

17 MR. ASHTON: Advil anybody? (Laughter).

18 MR. ZAKLUKIEWICZ: You need to have a
19 strong substation at one of the terminus. So when you
20 say move it anyplace, you're moving anyplace is going to
21 be subject to -- Chairman Katz, where are we talking
22 about moving it?

23 MR. TAIT: Do you need a strong substation
24 at either end of that link? So instead of having three

HEARING RE: CL&P and UI
APRIL 21, 2004

1 substations, you'd need two and another two?

2 MR. ZAKLUKIEWICZ: Well we're in an ideal
3 condition now, we have generation at East Devon, a strong
4 source --

5 CHAIRMAN KATZ: Right --

6 MR. ZAKLUKIEWICZ: -- you have multiple
7 generators at Singer, a strong source. And you have the
8 345 tie at Norwalk which comes from the Bethel/Norwalk
9 project.

10 CHAIRMAN KATZ: But how about if you kept
11 those substations, I'm not saying eliminate them, let's
12 say you had additional substations, let's say you had
13 substations in Durham or Woodbridge, additional
14 substations to tie two ends of an underground up there,
15 is that doable?

16 MR. ZAKLUKIEWICZ: You need -- you need to
17 keep -- you need to keep the Beseck Substation --

18 CHAIRMAN KATZ: Okay --

19 MR. ZAKLUKIEWICZ: -- from a strong source
20 --

21 CHAIRMAN KATZ: We're not taking away
22 anything, we're -- we're adding.

23 MR. TAIT: Can we --

24 MR. ZAKLUKIEWICZ: I'm trying -- I'm

HEARING RE: CL&P and UI
APRIL 21, 2004

1 trying to answer your question such as you're not going
2 to come back to me and say Mr. Zak on the 21st at 1:41 you
3 said it was feasible -- (laughter) -- and not that I want
4 -- I'm saying to you anything is possible, but it's going
5 to take a lot of additional studying to make certain it
6 works. And something today where we've been studying it
7 now for probably more than a year is still -- does not
8 have satisfactory answers to, and that was the testimony
9 you heard from Mr. Kowalski at ISO. I mean we -- we have
10 been trying to make this work. And to date there are
11 still some in the technical community who are not in full
12 agreement or buy in that what is proposed before you will
13 totally work. And some of the issues have to do with
14 dealing with the capacitance of the 24 miles of cable out
15 there, but they are lessened significantly by the fact
16 that you've got generation at East Devon where you've got
17 the machines which have instantaneous basically responds
18 to changes established right there as opposed to many
19 many miles away, and you have the same benefits of the
20 generation at Bridgeport, whether we're talking the
21 Bridgeport units owned by Public Service Electric & Gas
22 or the Bridgeport Energy units, and you've got ERESKO
23 right now the street that tie into the bus, and then
24 you've got the stronger 345 tie that goes into Norwalk

HEARING RE: CL&P and UI
APRIL 21, 2004

1 from the Bethel/Norwalk project. So from a situation of
2 where could we install the most underground in this whole
3 area, I think we've selected the most ideal locations to
4 make this work technically. And that was what was
5 studied and that was what we proposed in the proposal --

6 CHAIRMAN KATZ: But --

7 MR. ZAKLUKIEWICZ: To ask me can we inject
8 someplace in the line another eight-mile stretch, that
9 will require a lot of additional testing and studying to
10 come up with an answer of yes or no.

11 CHAIRMAN KATZ: But it sounds like the
12 criteria to have an underground portion is it has to be
13 anchored by a strong substation, correct?

14 MR. ZAKLUKIEWICZ: With multiple lines
15 coming into it --

16 CHAIRMAN KATZ: Okay, so where -- north of
17 East Devon where are potential points where you have --
18 for example, let's just take -- you've got a couple --
19 like in Woodbridge you have a couple of junctions, Pease
20 Junction, another -- junctions are an area where you have
21 multiple lines, correct?

22 MR. ZAKLUKIEWICZ: Yes, but they're not
23 really strong. They're really not strong sources. If
24 you look at the total number of lines that we've got

HEARING RE: CL&P and UI
APRIL 21, 2004

1 coming into Devon, not only do you have the 345 lines
2 proposed, but you have five or six not -- right now the
3 115 lines going through Woodbridge are a total of three
4 lines at 115 as opposed to the multiple lines. And now
5 when I add up the impedances between those locations in
6 Woodbridge back to say the Devon Station, that impedance
7 gets added in, and so the strength of those positions
8 become less -- weaker --

9 CHAIRMAN KATZ: But it sounds --

10 MR. ZAKLUKIEWICZ: -- when I put that
11 station there and I cut the 345, when the northern part
12 of the line say from Beseck down to this theoretical
13 station in Woodbridge is opened, I can -- I probably
14 cannot switch in and leave that other line in place
15 between say Devon and Woodbridge without having that
16 other 345 line in place.

17 CHAIRMAN KATZ: But it sounds like from
18 what you've said about Beseck, Beseck is the possible
19 area that you could anchor an eight-mile underground, is
20 that correct --

21 MR. ZAKLUKIEWICZ: It would be --

22 CHAIRMAN KATZ: -- one end of --

23 MR. ZAKLUKIEWICZ: It would be one of the
24 -- one of the -- one of the locations where there would

HEARING RE: CL&P and UI
APRIL 21, 2004

1 be a higher probability that something like that would
2 work.

3 CHAIRMAN KATZ: And if you went eight
4 miles in either direction from Beseck, where does that
5 take you?

6 MR. ZAKLUKIEWICZ: I would -- I would not
7 go -- I would not go and advocate that this commission
8 approve going east of Beseck with underground.

9 CHAIRMAN KATZ: But possibly going west,
10 where would that -- I don't have -- let me grab my other
11 map -- so if you --

12 MR. ZAKLUKIEWICZ: I believe it would take
13 you into -- it would take you part way through
14 Wallingford I believe --

15 CHAIRMAN KATZ: Okay --

16 MR. ZAKLUKIEWICZ: -- I believe
17 Wallingford is approximately 11 miles of overhead --

18 A VOICE: Yes.

19 CHAIRMAN KATZ: Okay.

20 MR. ZAKLUKIEWICZ: -- and Beseck I think
21 is towards the -- the edge of -- the edge of the line.
22 So it would take you eight -- eight of the eleven miles
23 of Wallingford.

24 CHAIRMAN KATZ: Thank you. Back to you,

HEARING RE: CL&P and UI
APRIL 21, 2004

1 Mr. Ashton.

2 MR. ASHTON: Okay. I want to just explore
3 a little bit more on this point. You indicated that the
4 underground works because there are strong sources
5 attached to either end of it. Could you explain a little
6 bit more why the strong source is necessary? You said
7 the generator could make instantaneous adjustments. In
8 what respect? What are -- what's going on that makes it
9 possible?

10 MR. ZAKLUKIEWICZ: Well, the strong
11 sources help to compensate for the voltages and the
12 voltage differences. And the fact that you've got in
13 that local area the ability of the machine to respond
14 should systems change, makes having a long set of cables
15 available. If we look and compare the Connecticut system
16 at 345-kV, our strongest source by far is Millstone. And
17 Millstone has -- in relative terms has the capability
18 there of a factor -- call it -- without getting into the
19 details just so you have a semblance, a strong strength
20 of approximately 15. When you look at the Con-Ed system,
21 a number of their buses have a strength of 45 to 50. So
22 it gives you a relevance of the fact that on the Con-Ed
23 system because of the magnitude of generation they have
24 in the small central area of New York itself, they have -

HEARING RE: CL&P and UI
APRIL 21, 2004

1 - because of their requirements and their limited ability
2 to import power, they at any given time have to have
3 local generation, approximately 80 percent or above.
4 They can never go below 78 percent of the total load
5 within the Greater New York area. That's because they
6 cannot import more than at peak approximately 18 to 20
7 percent of the power they need, so that any given minute
8 a requirement is is that they operate with that magnitude
9 of power. Having all of that generation somewhere
10 between eight and ten thousand megawatts in that local
11 area means that any given point on the system, the
12 strength of the system is significant relative to the
13 strength of the CL&P system.

14 MR. ASHTON: And the strength you're
15 measuring is what, the short-circuit ratio?

16 MR. ZAKLUKIEWICZ: The short-circuit ratio
17 and short-circuit duty.

18 MR. ASHTON: And that -- am I correct in
19 believing that that is a measure of the magnitude of a
20 fault that would occur on a bus and the total current
21 flowing into that fault, is that a fair way of putting
22 it? Fault duty?

23 MR. ZAKLUKIEWICZ: Yes, it is.

24 MR. ASHTON: And have you had any

HEARING RE: CL&P and UI
APRIL 21, 2004

1 discussions with any of the generators in this Southwest
2 Connecticut area, and I'm thinking particularly the ones
3 in Milford, the Devon Plant, Milford Power, Bridgeport
4 Harbor, as to whether or not they are (a) cognizant of
5 the amount of cable that would be injected and the line
6 charging differences that would be seen, and whether this
7 would have any adverse impact on their machines?

8 MR. ZAKLUKIEWICZ: No, we have not had
9 that specific discussion with the generators/operators
10 themselves. And there's concern that I believe is --
11 already is out there in the public. One of the Devon
12 units has already been given notice that their
13 reliability must run contract will be ending in 60 days -
14 - or 90 days. And I think that notice was given to them
15 in the beginning of February. And as soon as the second
16 Milford unit is on, I would expect the same thing to
17 happen to the second Devon generator now. Not having the
18 reliability must run contracts, how long they will stay
19 in service and keep those units available are a question
20 mark.

21 MR. ASHTON: So that 7 and 8 are the last
22 two units of the Devon plant and they would be presumably
23 no longer required once Milford 2 comes on?

24 MR. ZAKLUKIEWICZ: Well, they would be --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 they would be not required, but they would be having to
2 bid in the market such that they would not be compensated
3 for the fact that they may not have a bid which allows
4 them to run. They may not be able to compete with their
5 competition --

6 MR. ASHTON: Yeah, yeah --

7 MR. ZAKLUKIEWICZ: -- and would not be
8 receiving monthly payments whether they operate or not,
9 to the point where it becomes economic. Whether they
10 continue to operate or not, that would be a corporate
11 decision on their part.

12 MR. ASHTON: Was any consideration given
13 to an intermediate station -- a reactor station between
14 Norwalk and Singer, the 16-mile section?

15 MR. ZAKLUKIEWICZ: We've looked at it.
16 The feasibility of purchasing property, trying to put in
17 midpoint reactors between those two locations, and the
18 studies indicating that we think we can operate it
19 without a midpoint station or a total switching station,
20 we just did not put that into the proposal recognizing
21 that acquiring four to six acres of property to put in a
22 full substation in that area is -- the feasibility of
23 that is close to zero.

24 MR. ASHTON: Has there been any -- or what

HEARING RE: CL&P and UI
APRIL 21, 2004

1 consideration has there been given -- has been given to
2 the -- a possibility or even I'll use the requirement to
3 de-energize one cable in light loads?

4 MR. ZAKLUKIEWICZ: Right now we are
5 studying and trying to finalize having reactors on each
6 of the cable systems at East Devon and at Norwalk such
7 that they are continuously in operation. And those would
8 be approximately a two-percent reactor, and those --

9 MR. ASHTON: A series reactor?

10 MR. ZAKLUKIEWICZ: These would be series
11 reactors in addition to the shunt reactors to compensate
12 for the capacitance. This is part of the study which is
13 still being worked on to try to finalize to come in
14 agreement.

15 We did look at the fact that we would need
16 somewheres around a seven percent reactor to choke off
17 some of the power flow on the remaining cable should we
18 have one of the two cables out of service either for
19 maintenance or for a fault condition or contingency, for
20 which then you would switch in the seven percent reactor,
21 choke off the current such that you do not overload the
22 remaining cable. And by doing that, you would now force
23 the current back around through the overhead 345-kV
24 system from the central part of the State north over to

HEARING RE: CL&P and UI
APRIL 21, 2004

1 the New Milford area and down through Milford, Bethel and
2 Norwalk and feed the load through that way.

3 MR. ASHTON: So this would be a deliberate
4 insertion of extra resistance, the proper term impedance
5 in the cable circuit when -- in the event that you went
6 to a single cable operation, is that correct?

7 MR. ZAKLUKIEWICZ: Just adding the seven
8 percent one should you lose one part of the cable, in
9 other words at the same time you're opening up the
10 breakers to isolate the faulted section or you're doing
11 switching, you would switch in at the same time,
12 concurrent, this large block of impedance, the reactance
13 of a reactor, which would now add that much additional
14 impedance onto the system.

15 This seven percent reactor, just to give
16 you a sense, equates to somewheres close to adding
17 approximately 200 miles of overhead 345-kV transmission
18 system into that cable circuit. That's what it equates
19 to.

20 MR. ASHTON: As far as its electrical
21 characteristics go?

22 MR. ZAKLUKIEWICZ: Its electrical
23 characteristics would be instantaneously I now switch in
24 200 miles of overhead transmission line.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. ASHTON: And that would be intended to
2 try and maintain a balance of flow between alternate
3 paths in the loop, is that fair to say?

4 MR. ZAKLUKIEWICZ: That is correct.

5 MR. ASHTON: Is that kind of engineered
6 solution common in the world to your knowledge?

7 MR. ZAKLUKIEWICZ: It is not extremely
8 common in the Northeast. I believe there are, because of
9 the extreme lengths of the circuits, in the Northwest.
10 Primarily where you're bringing the hydro power from the
11 Oregon/Washington area into the San Francisco area there
12 are some extremely long lines there where you have to
13 operate under those conditions, but what you're trying to
14 do there is to switch capacitances on because of the
15 extremely long lengths of overhead transmission lines
16 through those areas, those are in the four or five
17 hundred mile lengths, and now you've got the opposite
18 effect, you've got extremely high impedances, such that
19 if you lose one of the lines, I now have extremely low
20 voltages trying to push the power those distances over
21 the overhead transmission lines.

22 MR. ASHTON: Let me just switch tacks for
23 a little bit here. The East Devon Substation is a new
24 location. Has -- has the company considered, and if so,

HEARING RE: CL&P and UI
APRIL 21, 2004

1 why did it dismiss expansion of the existing Devon yard?

2 MR. ZAKLUKIEWICZ: Not knowing -- not
3 knowing exactly what was going to take place at that
4 facility, whether -- I mean clearly the commission and
5 everyone else has to realize the site itself is ideal for
6 some kind of a generating facility. And the question
7 comes up then if someone was to build a new gas turbine
8 combined cycle facility at that location, land is a
9 premium. And to turn around -- in our discussions when
10 we sold the property or required to sell the properties,
11 we tried to identify at that time expansion properties
12 associated with that substation. The Public Utility
13 Commission in the State ruled that was not prudent, it
14 would reduce the selling price of the properties, and we
15 were not allowed to retain anything but the fence line
16 that was basically there. If you go immediately south of
17 the substation, basically by the entrance-way, that whole
18 area is a rock area, as is part of the substation today,
19 there is basically no expansion property and there are no
20 ways of getting transmission down to that site where we
21 propose to do what we're doing at East Devon, we would
22 bring the 345 in at the northern end, and what is
23 proposed is to go underground coming out of East Devon
24 towards Singer, so you would basically go on the right-

HEARING RE: CL&P and UI
APRIL 21, 2004

1 of-way immediately north of the East Devon site and then
2 go upon to public roads before you get to the actual
3 Devon Substation site and then go underneath the
4 Housatonic River. That -- that is one of the reasons, it
5 didn't allow us room at Devon itself to bring the 345 in,
6 put in the autotransformers, allow the connections of the
7 Milford unit onto the 345 system to drive down the short-
8 circuit duty, which today is an enormous problem. At
9 East Devon, as you know, we have reactors between the two
10 buses now to limit the short-circuit duty at the 115-kV
11 level.

12 CHAIRMAN KATZ: Mr. Zak --

13 MR. ASHTON: Nothing further, thank you.

14 CHAIRMAN KATZ: Mr. Zak, to further answer
15 that question, can you go to Volume 9, Segment 47.

16 MR. ZAKLUKIEWICZ: (Pause). I'm there.

17 CHAIRMAN KATZ: Okay. My understanding is
18 on Segment 47 where it says Northeast Utilities System
19 property, that's where the Devon Substation is located?

20 MR. ZAKLUKIEWICZ: (Pause). If you look
21 at -- if you look at where the arrows are, it says
22 Northeast Utilities property there, and if you're looking
23 at close to where -- the Housatonic where it comes in
24 land north of where the tanks are, those two arrows refer

HEARING RE: CL&P and UI
APRIL 21, 2004

1 to the property and the right-of-way, which is
2 immediately east of the gas pipeline. It is not that we
3 own that property abutting up against the water --

4 CHAIRMAN KATZ: So --

5 MR. ZAKLUKIEWICZ: -- the substation
6 itself is -- is directly underneath where it says
7 Housatonic Development District --

8 CHAIRMAN KATZ: Okay --

9 MR. ZAKLUKIEWICZ: -- do you see those --
10 what looks to be small little things connected, that's --
11 and I don't mean to facetious with that, I don't know
12 which way to describe the aerial view, but --

13 MR. ASHTON: She's got it.

14 CHAIRMAN KATZ: I've got it.

15 MR. ZAKLUKIEWICZ: -- those -- those are -
16 - those are bus 1, bus 2 of the substation, which is
17 primarily all 115-kV, and that's the only property that
18 we have access rights to on this site.

19 CHAIRMAN KATZ: Do you own the property
20 under the words Milford in black letters?

21 MR. ZAKLUKIEWICZ: No, we do not.

22 CHAIRMAN KATZ: Okay.

23 MR. ZAKLUKIEWICZ: That is owned by NRG.

24 CHAIRMAN KATZ: If -- if we went along the

HEARING RE: CL&P and UI
APRIL 21, 2004

1 railroad overhead from Singer to Devon, could you then --
2 it looks like the railroad is just adjacent to this
3 property, is that correct?

4 MR. ZAKLUKIEWICZ: Yes.

5 CHAIRMAN KATZ: So if you were overhead
6 from Singer to Devon, then you could connect -- instead
7 of doing East Devon, you could have a substation
8 expansion of Devon and make the connection there?

9 MR. ZAKLUKIEWICZ: You're saying we would
10 somehow come into this whole area on 345 overhead --

11 CHAIRMAN KATZ: Right --

12 MR. ZAKLUKIEWICZ: -- and then leave --

13 CHAIRMAN KATZ: -- by the railroad --

14 MR. ZAKLUKIEWICZ: -- and then leave
15 overhead --

16 CHAIRMAN KATZ: Correct.

17 MR. ZAKLUKIEWICZ: -- somehow?

18 CHAIRMAN KATZ: Somehow.

19 MR. ASHTON: She's suggesting a substation
20 would be built where the words Milford in large black
21 caps are.

22 CHAIRMAN KATZ: Or an expansion of your
23 existing substation to handle this new 345?

24 MR. ZAKLUKIEWICZ: That -- that is -- that

HEARING RE: CL&P and UI
APRIL 21, 2004

1 is -- that is all solid rock ledge up in that area, as is
2 the upper yard, meaning the substation to the left of
3 where it says Housatonic Development District --

4 CHAIRMAN KATZ: Yes.

5 MR. ZAKLUKIEWICZ: -- that is all
6 presently built on -- partially built on ledge. And that
7 is -- and those are the block start units -- those two
8 little boxes above the Milford unit --

9 CHAIRMAN KATZ: Yeah --

10 A VOICE: It's a coastal zone as well,
11 Roger.

12 MR. ZAKLUKIEWICZ: And that is a coastal
13 zone in that area up here also --

14 MS. LOUISE MANGO: Yeah, I think that a
15 site -- an upland substation site --

16 COURT REPORTER: Hold it, hold it --

17 MS. MANGO: An upland substation site at
18 that location would be very difficult to permit through
19 the DEP Office of Long Island Sound Programs because it
20 would -- it would be occupying a water -- it would be a
21 non-water dependent unit occupying an above ground site
22 adjacent to the Housatonic River and there's no reason to
23 put a substation facility there if there's available
24 upland sites.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: Understood. Thank you.

2 Mr. Zak, I'm still going to be pursuing ripping these
3 eight miles from you, so keep thinking.

4 MR. ZAKLUKIEWICZ: Okay. I will take that
5 on as a homework assignment or --

6 CHAIRMAN KATZ: Well --

7 MR. ZAKLUKIEWICZ: -- do I have a little
8 reprieve but a formal assignment?

9 CHAIRMAN KATZ: I -- at this point
10 consider it food for thought on the flexibility of
11 breaking up that 24 miles.

12 MR. ZAKLUKIEWICZ: I hear you.

13 MR. TAIT: Mr. Zak, I've got some thoughts
14 too, not just ripping up those eight miles, but somehow
15 getting more miles somewhere along the currently proposed
16 overhead route. What's the most fruitful area for us to
17 consider to see if such an option is possible, working
18 from Beseck south or west?

19 MR. ZAKLUKIEWICZ: I think we said in our
20 supplemental filing in December if you had to do it, you
21 would continue on with the underground where it is today
22 for a period up to -- five miles I think is what I signed
23 my name to. And I said may, and I really mean the big
24 word may. I think I've already testified to you I do not

HEARING RE: CL&P and UI
APRIL 21, 2004

1 -- I'm right on the edge with what you have today.

2 MR. TAIT: Well, you were also in Docket
3 217 --

4 MR. ZAKLUKIEWICZ: Well, I think -- I'm
5 not going to change my testimony --

6 MR. TAIT: No --

7 MR. ZAKLUKIEWICZ: -- so I want you to
8 know that today --

9 MR. TAIT: Right.

10 MR. ZAKLUKIEWICZ: -- so you're not well
11 maybe he's going to change in June. My answer in June is
12 probably going to be stronger --

13 MR. TAIT: You stuck with --

14 MR. ZAKLUKIEWICZ: -- than it is today.

15 MR. TAIT: You stuck with F-3 through hell
16 and high water in Docket No. 217.

17 MR. ZAKLUKIEWICZ: Understand.

18 MR. TAIT: I was just wondering, you know,
19 is that --

20 MR. ZAKLUKIEWICZ: If you have to do it,
21 you do it out of Devon.

22 MR. TAIT: You do it out of Devon and --

23 MR. ZAKLUKIEWICZ: The East Devon
24 Substation.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. TAIT: And going -- and five miles is
2 about the max that you could squeeze out of there? And
3 that would --

4 MR. ZAKLUKIEWICZ: I'm not even
5 comfortable with the five, but whatever.

6 MR. TAIT: I can see you squirm right now.
7 Yeah, okay --

8 MR. ZAKLUKIEWICZ: And I'm not certain how
9 you'd go overhead into Singer. In other words, in any
10 way, shape, or form you can't get by, if you will,
11 Seaview. You're not going to put 345 overhead going into
12 Bridgeport. So you're going to have to recognize that
13 you're going to have to put underground in coming out of
14 Singer --

15 MR. TAIT: Okay --

16 CHAIRMAN KATZ: How --

17 MR. ZAKLUKIEWICZ: -- or some length
18 coming out of Singer. And then possibly if you all deem
19 it the best route to be acceptable to everyone going
20 overhead then back into Devon.

21 CHAIRMAN KATZ: How about if we use
22 Pequonnock instead of Singer as the junction?

23 MR. ZAKLUKIEWICZ: They're one and the
24 same --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. ASHTON: Yeah, the same --

2 MR. ZAKLUKIEWICZ: -- they're within two -

3 -

4 CHAIRMAN KATZ: Well isn't Pequonnock
5 closer to the railroad?

6 MR. ZAKLUKIEWICZ: They're within a couple
7 of blocks of each other.

8 CHAIRMAN KATZ: Which one is closer to the
9 railroad? If we're using the railroad as a possible
10 overhead route --

11 MR. ZAKLUKIEWICZ: I'm -- I -- just so you
12 are aware, the agreements that were signed on the
13 Pequonnock/Ely Avenue line do not allow any transmission
14 on the railroad greater than 115,000 volts. I tried for
15 over a year to get those words added in that would allow
16 it.

17 CHAIRMAN KATZ: Well, what am I looking at
18 when I look at the blue line --

19 MR. ASHTON: Wait a minute, Pam --

20 CHAIRMAN KATZ: -- on the -- just a second
21 --

22 MR. ASHTON: You said for Pequonnock to
23 Ely. That's going westward.

24 MR. ZAKLUKIEWICZ: Understand. But it's

HEARING RE: CL&P and UI
APRIL 21, 2004

1 still --

2 MR. ASHTON: Does that --

3 MR. ZAKLUKIEWICZ: -- it's still the
4 electrified railroad --

5 MR. ASHTON: Does that restriction cover
6 from Pequonnock eastward?

7 MR. PRETE: Yes. From UI's point of view
8 -- that same argument and desire from UI's point of view
9 is a very similar outcome, that it --

10 MR. ASHTON: Are you bound by that
11 agreement -- is UI bound by that agreement?

12 MR. PRETE: We have a separate agreement
13 until the year 2030 that limits the voltage on the
14 existing railroad catenaries at 115-kV.

15 CHAIRMAN KATZ: Well on your route map it
16 appears there's a blue line indicating an alternative
17 overhead that goes from approximately Singer to Devon
18 along the railroad. Am I --

19 MS. BARTOSEWICZ: Chairman, you're
20 correct, the map that you're looking at does have a blue
21 line as one of the overhead routes studied. We looked at
22 the railroad alternative. And in part of our filing,
23 which I believe is the subject of tomorrow's hearing, we
24 talk about the railroad route, and we've dismissed it

HEARING RE: CL&P and UI
APRIL 21, 2004

1 from consideration because of a number of issues building
2 along the railroad.

3 CHAIRMAN KATZ: Oh. You see I had taken
4 those blue lines as meaning you could put an alternative
5 345-kV there. But that's not necessarily so?

6 MS. BARTOSEWICZ: Correct. The
7 application provides the three, the proposed and the two
8 alternatives that can be built.

9 CHAIRMAN KATZ: Understood. Thank you.

10 MR. ZAKLUKIEWICZ: Mr. Ashton, to answer
11 your question, CL&P does not have the transmission lines
12 if you will east of -- east of the Pequonnock/Ely Avenue
13 line. And our agreement was basically from the Fairfield
14 County line to Ely Avenue --

15 MR. ASHTON: Right, in the service area --

16 MR. ZAKLUKIEWICZ: -- and -- and that
17 agreement ended in approximately 1998. Mr. Torrance
18 advised me somewhere around 1992 to begin work on a new
19 air agreement, okay, for air rights where the 115 lines
20 presently are. I had signed along with -- I think it's a
21 Mr. Harris, who heads up C-DOT Railroad, an agreement
22 that it -- where we added in the words where we would be
23 allowed to install 345 on that right-of-way with the
24 understanding that we would conduct and be responsible

HEARING RE: CL&P and UI
APRIL 21, 2004

1 for and pay for all of the studies to ensure the signal
2 system was not interfered with by the electric fields of
3 the 345-kV transmission line. That agreement never got
4 through the AG's office, who review all contracts, and
5 that page and a half were crossed off. And after a year
6 of refusing to sign that agreement, I finally signed it
7 because we were three and a half year, four years without
8 an actual contract to have our 115 lines on the right-of-
9 way. And it was made perfectly clear to me that no way
10 was this contract going to be signed with the rights to
11 put anything on that transmission -- any rights on the
12 railroad right-of-way greater than 115,000 volts --

13 MR. ASHTON: So --

14 MR. ZAKLUKIEWICZ: -- so we -- we also to
15 the west of it have an agreement in place for the next 30
16 years -- I think it's 30 years, expandable in 10 years,
17 two 10 year groupings thereafter where the limited rights
18 on that -- along the railroad tracks are limited to
19 115,000 volts.

20 MR. TAIT: And who were the signatories to
21 this contract?

22 MR. ZAKLUKIEWICZ: I believe myself, a Mr.
23 Harris, and the AG's office.

24 MR. ASHTON: NU and Con-DOT?

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. ZAKLUKIEWICZ: NU and Con-DOT.

2 MR. TAIT: Not Amtrak or --

3 MR. ZAKLUKIEWICZ: No. This is the State
4 of Connecticut.

5 MR. TAIT: And so --

6 MR. ASHTON: So it would be the
7 Connecticut Attorney General's Office then who for all
8 intents and purposes is controlling what may happen on
9 that railroad, is that correct?

10 MR. ZAKLUKIEWICZ: That is correct.

11 MR. ASHTON: Thank you.

12 MR. TAIT: But all agreements can be
13 modified so that there could be some possibility of --
14 all things being considered that this was the best
15 solution for the State of Connecticut, that the
16 agreements might be able to be rewritten?

17 MR. ZAKLUKIEWICZ: I think I tried that
18 argument for about five years and was unsuccessful.

19 MR. TAIT: Well --

20 MR. ZAKLUKIEWICZ: But I recognize you
21 have a lot more authority than I do.

22 MR. TAIT: Conditions may change as
23 conditions in the Sound may change when the alternative
24 is putting overhead power lines through people's

HEARING RE: CL&P and UI
APRIL 21, 2004

1 backyards.

2 MR. ZAKLUKIEWICZ: All I wanted to do was
3 make you aware of it --

4 CHAIRMAN KATZ: Yes --

5 MR. TAIT: Yeah --

6 MR. ZAKLUKIEWICZ: -- from an easement
7 right-of-way and rights to be on that property today,
8 they are limited. And I believe UI's contract has
9 similar words because the contracts that they cut were
10 basically trying to get CL&P to sign a contract and then
11 go to UI and say here's what's already been agreed to,
12 sign on the dotted line.

13 MR. TAIT: Mr. Prete, does UI have the
14 same similar contract with the same parties, with Con-
15 DOT?

16 MR. PRETE: I believe they're almost
17 exactly the same.

18 CHAIRMAN KATZ: Mr. Cunliffe --

19 COURT REPORTER: One moment please.

20 (Pause). Thank you. We're on the record.

21 CHAIRMAN KATZ: Mr. Cunliffe, why don't we
22 give Con-Dot a heads-up tomorrow that we might be asking
23 them about the possibility of modifying things so that a
24 345 can be along the railroad.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 A VOICE: You should talk -- ask the
2 Attorney General --

3 MR. CUNLIFFE: I think that sentiment is
4 out. Miss Meskill, I assume you've heard the Chairman's
5 wishes.

6 MS. MESKILL: Yes, I have.

7 CHAIRMAN KATZ: Thank you.

8 MS. BARTOSEWICZ: And Chairman Katz, just
9 so we are clear, the legal contract issues aren't the
10 only issues that we have with the railroad group.

11 CHAIRMAN KATZ: Right. We'll explore that
12 tomorrow.

13 MS. BARTOSEWICZ: Terrific.

14 CHAIRMAN KATZ: And perhaps this is
15 something that the Legislature might want to be helpful
16 in.

17 MR. TAIT: That's what I was suggesting.

18 CHAIRMAN KATZ: So we would like to fully
19 explore that issue tomorrow. In fact, I'm going to give
20 you another food for thought, Mr. Zak --

21 MR. ASHTON: You're going to give him --

22 CHAIRMAN KATZ: Well, he knows I'm one of
23 his biggest fans as far as understanding this system.
24 But when we talk about East Shore in June, let's talk

HEARING RE: CL&P and UI
APRIL 21, 2004

1 about -- and tell us why it would work or not work,
2 underground from Beseck to East Wallingford Junction, and
3 then a new 345-kV from East Wallingford Junction to East
4 Shore.

5 MR. ASHTON: Say that again.

6 MR. ZAKLUKIEWICZ: Do you have that
7 written down --

8 MS. BARTOSEWICZ: I want to make sure I
9 understand. This is underground from Beseck --

10 CHAIRMAN KATZ: From Beseck --

11 MS. BARTOSEWICZ: -- to East Wallingford -
12 -

13 CHAIRMAN KATZ: -- to East Wallingford
14 Junction.

15 MS. BARTOSEWICZ: Underground?

16 CHAIRMAN KATZ: Right. Instead of
17 somewhere else.

18 MS. BARTOSEWICZ: And then overhead --

19 CHAIRMAN KATZ: Overhead --

20 MS. BARTOSEWICZ: -- from East Wallingford
21 to --

22 CHAIRMAN KATZ: Wallingford Junction to
23 East Shore --

24 MS. BARTOSEWICZ: East Shore --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 COURT REPORTER: One at a time please --

2 MS. BARTOSEWICZ: And then from East Shore
3 underground again to --

4 CHAIRMAN KATZ: Well, you'll have to work
5 that part out --

6 MS. BARTOSEWICZ: -- to East Devon -- just
7 -- I want to make sure we're clear on what we're talking
8 about.

9 CHAIRMAN KATZ: I have not thought out the
10 part from East Shore to Devon.

11 MS. BARTOSEWICZ: There is no overhead
12 right-of-way from East Shore --

13 CHAIRMAN KATZ: Right --

14 MS. BARTOSEWICZ: -- to Devon.

15 CHAIRMAN KATZ: Well, I guess I was
16 thinking perhaps a marine -- I'm trying to -- I guess I'm
17 thinking in a bigger box. And if I shouldn't be thinking
18 outside the box, then I want you to tell me, and we'll go
19 from there.

20 MR. ASHTON: Madam Chairman, may I inquire
21 just a little bit more based on this --

22 CHAIRMAN KATZ: Yeah.

23 MR. ASHTON: As I recall the right-of-way
24 coming from Pequonnock eastward, there's some fairly

HEARING RE: CL&P and UI
APRIL 21, 2004

1 significant stretches of it where it's quite wide. The
2 railroad had multiple tracks there, a lot of which were
3 probably sightings for local industry. And I guess maybe
4 as a homework assignment -- and I'm looking at Mr. Prete
5 perhaps a little bit more since this is his turf, whether
6 or not it is practical to think of an overhead 345
7 through this fairly wide former industrial area. The
8 last time I rode it, the buildings had been demolished
9 fairly substantially. Is this a reasonable solution for
10 a separate overhead structure through a lot of it?

11 MR. PRETE: Mr. Ashton, that would be
12 connecting --

13 MR. ASHTON: East --

14 MR. PRETE: -- the Pequonnock area to --

15 MR. ASHTON: Pequonnock --

16 MR. PRETE: -- Norwalk?

17 MR. ASHTON: -- to East Devon.

18 MR. PRETE: Pequonnock to East Devon?

19 MR. ASHTON: Right. You know, I can
20 appreciate the fact that where you have a double circuit
21 115 attached to the -- or approximate to the existing
22 catenary structures along the railroad going west from
23 Pequonnock, things are a little bit tight. And I'm
24 familiar enough with the right-of-way that it's a fairly

HEARING RE: CL&P and UI
APRIL 21, 2004

1 tight right-of-way in many instances. But once you come
2 east from Pequonnock, the situation changes fairly
3 significantly I think. And that's an area I'd like to
4 come back and talk about a little bit more.

5 MR. PRETE: And we'll be happy to do that.

6 I know Burns & McDonnell has done some work --

7 MR. ASHTON: Thank you --

8 MR. PRETE: -- specifically there.

9 CHAIRMAN KATZ: Mr. Heffernan.

10 MR. HEFFERNAN: Yeah, just one question,
11 Roger. We talked about this --

12 AUDIO TECHNICIAN: Grab a microphone.

13 MR. ASHTON: Oh, sorry.

14 MR. HEFFERNAN: It seemed to me that one
15 of DOT's concerns, which I understand, is they allow you
16 to put this cable under the ground, and for whatever
17 reason five years from now some project is going to
18 require that it be moved, and the law says they're going
19 to have to pay for it. So, I'm -- I'm just -- the
20 movement of it. So, I'm just questioning is this a
21 negotiable item? Is this something -- or is this in
22 stone?

23 MR. ZAKLUKIEWICZ: Well, the legislation
24 is clear at this time, so unless legislation has changed.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 Is it in -- is it in stone on this project? I'd have to

2 --

3 MR. HEFFERNAN: I mean --

4 MR. ZAKLUKIEWICZ: -- I'd have to double
5 check with my CEO, but as far as I'm concerned this could
6 be something that we would negotiate for this specific
7 line because of the length of it. It's totally different
8 that what we've got in other locations. Most of our
9 other locations, Mr. Heffernan, are overhead --

10 MR. HEFFERNAN: Yeah, and --

11 MR. ZAKLUKIEWICZ: -- with the exception
12 of the distribution facilities which may be underground.
13 So, I don't think it's the C-DOT's concern as much for
14 an overhead movement for a new interchange or some other
15 movement because the cost of relocating overhead is
16 significantly less than the cost of relocating
17 underground --

18 MR. HEFFERNAN: And --

19 MR. ZAKLUKIEWICZ: -- and it was -- it's
20 clear to me from their testimony and the questions that
21 were raised yesterday, that is their primary concern.

22 MR. HEFFERNAN: Yeah, it would seem to me
23 that as an individual it wouldn't be prudent to let
24 somebody put something in your backyard and, you know,

HEARING RE: CL&P and UI
APRIL 21, 2004

1 then say now you have to move it and I'm going to have to
2 pay for it, I mean --

3 MR. ZAKLUKIEWICZ: It just -- it just ends
4 up being later on a cost -- a question mark, not a cost -
5 - a question mark --

6 MR. HEFFERNAN: Of who pays.

7 MR. ZAKLUKIEWICZ: -- of can we recover
8 the cost of the dollars to move it. So if I agree to
9 this or we agree to this, is the public utility
10 commission or anyone else a responsible entity going to
11 say hey you were imprudent in making that agreement seven
12 years ago, the legislation is clear you recover the
13 dollars from the State of Connecticut, and oh by the way
14 you made that agreement, you take on the risk, I think
15 the shareholders ought to pick up that nine million
16 dollars or seven million dollars to move it, that is one
17 concern that we somehow would have to have some agreement
18 with the State of Connecticut on, that we're going to be
19 able to recover those dollars. One way or another the
20 residents in the State of Connecticut are going to pay
21 for it whether it be out of the DOT budget or out of your
22 electric bill.

23 MR. HEFFERNAN: Well, there might be some
24 people that --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. ZAKLUKIEWICZ: Or there may be some
2 other way --

3 MR. HEFFERNAN: -- CL&P or UI customers in
4 Connecticut --

5 MR. ZAKLUKIEWICZ: Understand. But on the
6 whole --

7 MR. HEFFERNAN: No, I agree --

8 MR. ZAKLUKIEWICZ: -- understand what I'm
9 saying. And I think the concern would be that there's
10 some recovery mechanism in place which everyone is not
11 going to change later on if we were to come to some
12 agreement that if there is an issue of total recovery
13 because I'm putting in another interchange or I'm
14 expanding, or whatever --

15 MR. HEFFERNAN: Um-hmm --

16 MR. ZAKLUKIEWICZ: -- whatever the
17 circumstances are for this proposed transmission line,
18 the companies were willing to sign a separate agreement
19 which overrode the legislation, yes, we would entertain
20 something like that --

21 MR. HEFFERNAN: That's possible. Thank
22 you.

23 MR. FITZGERALD: (Indiscernible) -- maybe
24 you and Mr. Heffernan can work that out -- (laughter) --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. HEFFERNAN: Well, it just seems to me
2 that DOT wouldn't be very prudent if they said you can
3 put this here, I mean if we have to move it, we'll pay
4 for it, you know.

5 MR. MURPHY: He probably would be easier
6 to deal with than some of the other -- (indiscernible) --

7 COURT REPORTER: A microphone please --

8 MR. MURPHY: -- than some of the other --

9 COURT REPORTER: A microphone, I can't
10 hear you --

11 MR. TAIT: It's not necessary.

12 CHAIRMAN KATZ: We'll move on. Mr.
13 Heffernan, does that complete --

14 MR. HEFFERNAN: That's it.

15 CHAIRMAN KATZ: Mr. Emerick.

16 MR. EMERICK: I guess by way of in the box
17 out of the box, I have more of a question of probably in
18 the box, but in terms of routing, site selection, and it
19 kind of parallels I think a question or a routing
20 alternative that was raised by Durham and Middlefield,
21 but as -- and I guess before I start that, I just want to
22 clarify, Beseck in the application is described as a
23 switching station, but in some of the interrogatories
24 it's described as a substation. And I'm thinking -- Mr.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 Brandien in I think at least one interrogatory described
2 it in that manner. And also this afternoon we've heard
3 the word Beseck Substation --

4 MS. BARTOSEWICZ: Uh --

5 MR. ZAKLUKIEWICZ: It should be --

6 MR. EMERICK: -- just to be clear --

7 MR. ZAKLUKIEWICZ: -- it should have been
8 --

9 MR. EMERICK: -- that it's a switching
10 station?

11 MR. ZAKLUKIEWICZ: It should have been
12 Beseck Switching Station. There is no transformation
13 there, so it is a switching station and it is not a
14 substation. And if I said substation, I was in error.

15 MR. EMERICK: Okay. The -- the proposed
16 line -- again, just looking at the routing maps, is it
17 true that it's tied to the 348 and I think it's the 362
18 lines?

19 MS. BARTOSEWICZ: Yes.

20 MR. EMERICK: And those lines are in a
21 common right-of-way with 387 between Chestnut Junction
22 and Oxbow -- Black Rock, is that correct?

23 A VOICE: Yes.

24 MR. EMERICK: And --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MS. BARTOSEWICZ: Yes.

2 MR. EMERICK: And under your proposal the
3 348 line would be rerouted along an existing 115 line and
4 to the Beseck Substation, so that it passes through the
5 substation and either heads down to Devon or it goes to
6 Southington. In terms of the connection with the 362
7 line, it's a radial extension from Black Rock down to the
8 Beseck Switching Station. Is that correct?

9 MR. ZAKLUKIEWICZ: Beseck Substation
10 itself would end up having three major transmission lines
11 besides the line that goes between Beseck and East Devon.
12 It would be directly tied to the Southington Substation.
13 It would be directly tied to the Haddam neck Substation.
14 And it would be directly tied to the Millstone
15 Substation, in addition to the Beseck to East Devon
16 transmission line --

17 A VOICE: Excuse me --

18 MR. ZAKLUKIEWICZ: -- so that anytime I
19 have one of those major transmission lines out of
20 service, Beseck is still being served by two additional
21 extremely strong sources. And then even if I was to lose
22 one of those 345 lines with one of them being maintained,
23 I am still tied to one very strong source in Connecticut,
24 whether that be Haddam Neck, Southington, or Millstone

HEARING RE: CL&P and UI
APRIL 21, 2004

1 Substation --

2 MR. EMERICK: Okay --

3 MR. ZAKLUKIEWICZ: -- and that's what I
4 mean by a strong source basically under -- under what we
5 do is the study conditions where it's a pretty extreme
6 contingency to say two of the 345-kV lines into the
7 substation are out of service.

8 MR. EMERICK: And -- okay. Then the
9 Beseck Switching Station is fed by all three of those
10 lines that go from --

11 MR. ZAKLUKIEWICZ: Yes, at the -- at the
12 station itself --

13 MR. EMERICK: Okay --

14 MR. ZAKLUKIEWICZ: -- they come into a
15 common bus and each has individual circuit breakers such
16 that you can isolate each one of the lines, but they do
17 form a common bus. And the strength of Beseck is that
18 you are summing up the strength of Southington, the
19 strength of Millstone and the strength of Haddam Neck,
20 minus the impedances between them.

21 MR. EMERICK: And from an electrical
22 perspective you're creating a new switching station at
23 Beseck that's fed by these three lines. Why can't that
24 switching station be moved to Black Rock --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: Black Pond.

2 MR. EMERICK: -- Black Pond where all
3 these three lines are anyway, and you would use the
4 existing right-of-way rather than recreating a new 345
5 along the existing 115 line that goes through Durham and
6 Middlefield?

7 CHAIRMAN KATZ: And following on that
8 thought, after you say that, and then couldn't you
9 instead of doing Oxbow to Beseck, do Chestnut Junction to
10 Black Pond, and that would take you out of the Royal Oaks
11 area?

12 MR. ZAKLUKIEWICZ: I think what we inject
13 -- and not answering your question directly off-hand, but
14 we basically inject -- by doing what we propose, we
15 inject a third transmission line into the eastern
16 corridor into Southwest Connecticut by the formation of
17 what we have, which is basically one additional 345-kV
18 line than what you presently have today by just injecting
19 a substation at where you presently are. What you're
20 proposing, you still end up not having anywhere near the
21 strength and the strength after contingencies for what
22 has been proposed at the Beseck -- for the Beseck
23 Substation. And it may be difficult for me sitting here
24 trying to convey that message to you. And I will try to,

HEARING RE: CL&P and UI
APRIL 21, 2004

1 if you want, put together a white paper or something and
2 walk you through that so it's clearer to understand from
3 an electrical standpoint. We looked at a number of
4 variations for which you are asking questions of right
5 now. And after many many months of study, basically came
6 to the conclusion that what was in the proposal from an
7 electrical standpoint is far superior to any of the other
8 alternatives.

9 MR. EMERICK: Again, I only derived that
10 by looking at your existing lines and where you want to
11 go and how you can join those lines to accomplish it.
12 Obviously, there's --

13 MR. ZAKLUKIEWICZ: Right. And what we do
14 at Beseck is if you severed your two lines out of
15 Millstone and out of Haddam Neck, you still have tied
16 back into Southington from the north coming back into
17 Beseck --

18 MR. EMERICK: But --

19 MR. ZAKLUKIEWICZ: -- and Southington then
20 is also tied directly then to Manchester Sub by the route
21 Manchester/Scovill Rock, Scovill Rock to Southington, and
22 then you come back down. So under the worst of
23 circumstances where you've got some disaster or fire, a
24 grass fire or whatever underneath the lines going from

HEARING RE: CL&P and UI
APRIL 21, 2004

1 east to west and you need to interrupt those for the
2 safety of the fire departments, you are still being fed
3 from the north. And what you're proposing, I now end up
4 having that substation virtually dead because I'm relying
5 on everything coming from the east as opposed to another
6 feed coming in from the north --

7 MR. EMERICK: I don't --

8 MR. ZAKLUKIEWICZ: -- and Southington then
9 would also be tied then directly to New York --

10 MR. EMERICK: How --

11 MR. ZAKLUKIEWICZ: -- New York, Long
12 Mountain, Frost Bridge to Southington, along with that
13 Manchester down to Scovill over to Southington.

14 MR. EMERICK: I don't quite understand by
15 moving the switching station a mile north to the Black
16 Pond area, how that doesn't still create a path to
17 Southington? The path to Southington is there.

18 CHAIRMAN KATZ: Via Schwab Junction.

19 MR. ZAKLUKIEWICZ: We will -- we will -- I
20 will look at that --

21 CHAIRMAN KATZ: Okay --

22 MR. ZAKLUKIEWICZ: -- and see what we can
23 do to discuss that further. And I -- it was my
24 understanding maybe that was going to be discussed --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 CHAIRMAN KATZ: Yes --

2 MR. ZAKLUKIEWICZ: -- when we discussed
3 Segments 1 and 2 --

4 CHAIRMAN KATZ: Yes --

5 MR. ZAKLUKIEWICZ: -- as opposed to
6 Segments 3 and 4 --

7 CHAIRMAN KATZ: You are exactly right --

8 MR. ZAKLUKIEWICZ: -- but now that you've
9 brought that to our attention that you want us to look at
10 that, we will look at that further and make certain we
11 are better prepared than I am right at this minute
12 without some other type of diagram --

13 CHAIRMAN KATZ: Yes --

14 MR. ZAKLUKIEWICZ: -- or easy explanation
15 --

16 CHAIRMAN KATZ: Yes --

17 MR. EMERICK: This was offered more as a -
18 - as a future homework assignment --

19 CHAIRMAN KATZ: Yes --

20 MR. EMERICK: -- or something that we
21 would be looking at. And I wasn't sure that actually I
22 was going to offer it today, although I've had the
23 question in my mind for quite awhile.

24 CHAIRMAN KATZ: Right. No, we -- Mr.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 Emerick is exactly right, we did not expect an
2 instantaneous analysis from you since it is Segments 1
3 and 2. It's food for thought. And if you could prefile
4 something supplementary so that we can cross-examine on
5 this point in early June when we get into Segments 1 and
6 2 in more detail, we'd appreciate that. But just looking
7 at your map, it looks like there might be some electrical
8 flexibility to maintain this strong hub you want to
9 maintain in that area, but maybe do something a little
10 different.

11 MR. EMERICK: Just a follow-up question.
12 I know in your prefile you describe a strong source and a
13 weak source. I assume there's a gradation between those
14 two extremes. And -- are you either a strong source or a
15 weak source, can you be an intermediary source, a less
16 than strong source?

17 MR. ZAKLUKIEWICZ: Well, I think -- I
18 think if you had -- if -- ideally if you had a substation
19 with ten 345-kV lines coming into it, you'd say that's an
20 extremely strong source. Once you get down into the
21 condition where you only have one or two lines -- and in
22 the case of Beseck we're talking behind it of three
23 lines, that ends up for the Connecticut system being a
24 strong source. Once you get down to two lines and I've

HEARING RE: CL&P and UI
APRIL 21, 2004

1 got one of the lines out for maintenance, when I lose
2 that other line under any condition, I've now taken that
3 and gone from a strong source to zero source. So there
4 isn't really very much of a difference except for an
5 additional 345-kV line from a relatively strong source to
6 begin with where we try to differentiate between what we
7 thought of as a weak source and a strong source, taking
8 into account that at anytime I can have one of the
9 sources out of service for maintenance. It leaves me
10 where that's the way I need to operate the transmission
11 system, and that is whatever the conditions are I've got
12 to establish myself such that for the next contingency
13 the lights do not go out and I can maintain my transfers
14 and reestablish them within 30 minutes of the time the
15 event occurs. And from an operational standpoint, those
16 are my operating ground rules for which I am not allowed
17 to deviate. And we all saw on August 14th what happens
18 when people decide they're going to ignore the ground
19 rules.

20 CHAIRMAN KATZ: Any other Council
21 questions today of the panel? Mr. O'Neill.

22 MR. O'NEILL: Just one small homework
23 assignment --

24 MR. ZAKLUKIEWICZ: A small one please --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 (laughter) --

2 MR. O'NEILL: Yeah. As a point of
3 clarification, your maps indicate that some of the lines
4 are owned by this Penn Central Railroad and some are
5 owned by Conn-Rail. If in fact that is the case, is your
6 agreement via the AG's Office and Conn-DOT only regarding
7 the Conn-Rail transportation lines or does it impact the
8 Penn Central Railroad line as well, or was that Penn
9 Central Railroad line indicated on the map in error?

10 MR. ASHTON: Is it now Amtrak?

11 MR. PRETE: Mr. O'Neill, what segment map
12 are you looking on --

13 CHAIRMAN KATZ: The large route map.

14 MR. O'NEILL: The large route map.

15 MR. ASHTON: The back of Volume 1.

16 CHAIRMAN KATZ: We all have these maps
17 hanging in our bedrooms. (Laughter).

18 MR. ZAKLUKIEWICZ: We -- we will look into
19 that and make certain our description of the ownership of
20 those railroad lines --

21 MR. O'NEILL: Yeah, by way of description
22 --

23 MR. ZAKLUKIEWICZ: -- are proper or were
24 we looking at some other property deed --

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MR. O'NEILL: By way of description --

2 MR. ZAKLUKIEWICZ: -- that may or may not
3 be proper --

4 COURT REPORTER: One at a time please --

5 MR. O'NEILL: By way of description, legal
6 agreements --

7 MR. ZAKLUKIEWICZ: We will clarify that if
8 they are one and the same or if they are separate.

9 MR. O'NEILL: Thank you.

10 CHAIRMAN KATZ: And Ms. Meskill, if you
11 could also just check into that. You got that -- thank
12 you -- from Conn-DOT's point of view.

13 Any other final questions for the panel on
14 Segments 1 and 2? Mr. Fitzgerald and Miss Randell, do
15 you have any issues before we adjourn?

16 MS. RANDELL: Just a question. I think
17 you meant --

18 MR. ZAKLUKIEWICZ: 3 and 4 --

19 MS. RANDELL: -- Segments 3 and 4?

20 CHAIRMAN KATZ: Yeah, I'm sorry. Yes.

21 MS. RANDELL: With that clarification, I
22 don't think so.

23 CHAIRMAN KATZ: Okay. We had a request
24 from Counsel members, for tomorrow's session on

HEARING RE: CL&P and UI
APRIL 21, 2004

1 alternatives, if you can bring any type of easels and
2 graphics in that -- if there's going to be a whole lot of
3 pointing and things going on, if you can bring in any
4 type of graphics so that we can all be discussing things,
5 that would be appreciated. I mean I don't expect you to
6 run out and whip them up, but I thought you might have
7 them from your other -- if you have them available from
8 your other municipal consultations, whatever. Miss
9 Kohler.

10 MS. JULIE DONALDSON KOHLER: At the risk
11 of keeping us any later, I just wanted to ask a couple of
12 --

13 COURT REPORTER: Whoa, whoa -- wait a
14 minute, wait a minute --

15 CHAIRMAN KATZ: Wait, we've got to get you
16 a mic.

17 MS. KOHLER: At the risk of keeping us any
18 later, I did just want to ask a couple of questions about
19 the substation issue that were just raised.

20 CHAIRMAN KATZ: The --

21 MS. KOHLER: The East Devon Substation.

22 CHAIRMAN KATZ: Okay, we can do that.

23 MS. KOHLER: Thank you.

24 CHAIRMAN KATZ: Can we have you come down.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 And I just want to mention to all parties and
2 intervenors, we will have wrap-up day where we will be
3 taking up miscellaneous things as things develop toward
4 the end of the docket. Yes.

5 MS. KOHLER: I just have a couple of -- I
6 just have a couple of questions about the East Devon
7 Substation and the Mayor's letter that was dated and
8 distributed to the service list on April 16th. Probably
9 most aptly answered by Miss Bartosewicz. I believe your
10 testimony so far was that the Blackite property, the
11 owner was unwilling to allow you to complete any Phase 1
12 unless it was purchased by the companies. Is that
13 accurate?

14 MS. BARTOSEWICZ: Unless we had an
15 agreement to purchase in place, correct.

16 MS. KOHLER: Correct. Is it also accurate
17 to say though that they did not want you to complete a
18 Phase 1 unless you had actually -- they weren't allowed -
19 - they weren't going to allow you to option the property,
20 but would allow you to complete a Phase 1 on the property
21 without compensation?

22 CHAIRMAN KATZ: Would you like to inform
23 us about that tomorrow?

24 MS. BARTOSEWICZ: Yes.

HEARING RE: CL&P and UI
APRIL 21, 2004

1 MS. KOHLER: Maybe I could just wrap up by
2 saying would the companies reconsider their position if
3 they were made aware that the Blackite owners actually
4 would allow you to complete a Phase 1 without
5 compensation? And I can get that information for them by
6 tomorrow.

7 CHAIRMAN KATZ: Yes, if you could
8 facilitate that, we can make that a report first thing
9 tomorrow morning.

10 MS. BARTOSEWICZ: Certainly.

11 CHAIRMAN KATZ: Anything else?

12 MS. KOHLER: Nothing else.

13 CHAIRMAN KATZ: Thank you. Any other
14 business before we adjourn for today? We are in
15 adjournment until 10:00 a.m. tomorrow morning. Thank you
16 everybody.

17

18 (Whereupon, the hearing adjourned at 2:40
19 p.m.)

HEARING RE: CL&P and UI
APRIL 21, 2004

INDEX OF WITNESSES

	PAGE
APPLICANT'S PANEL OF WITNESSES:	
Subject: Polybutene	
Marie BenKinney	
Wesley Kegerise	
Anne Bartosewicz	
Jay Williams	
Roger Zaklukiewicz	
John Prete	
Direct Examination by Mr. Fitzgerald	10
Cross-Examination by Ms. Meskill	14
Cross-Examination by Mr. Lord	17
Cross-Examination by the Council	65
Cross-Examination by Mr. Frank	70
Subject: Outstanding Assignments	
John Prete	
Anne Bartosewicz	
Roger Zaklukiewicz	
Kathleen Shanley	
Richard Reed	
Direct Examination by Ms. Randell	74
Direct Examination by Mr. McDermott	81
Cross-Examination by the Council	88
Cross-Examination by Mr. Golden	91
Subject: Segments 3 and 4	
Anne Bartosewicz	
Jay Williams	
James Hogan	
Roger Zaklukiewicz	
Louise Mango	
John Prete	
Brian Gregory	
Cross-Examination by the Council	94
Cross-Examination by Ms. Kohler	166

HEARING RE: CL&P and UI
APRIL 21, 2004

INDEX OF APPLICANTS' EXHIBITS

	NUMBER	PAGE
CV of Marie BenKinney	61	11
CV of Wesley Kegerise	62	11
MSDA for Polybutene	63	14
Noise Study for Site 8	64	76

INDEX OF SOUTH REGIONAL WATER
AUTHORITY EXHIBITS

Champion Servo MSDS for Polybutene (ID)	3	44
---	---	----

CERTIFICATE

I, Robin L. Focht, a Notary Public in and for the State of Connecticut, and Vice President of Post Reporting Service, Inc., do hereby certify that, to the best of my knowledge, the foregoing record is a correct and verbatim transcription of the audio recording made of the proceeding hereinbefore set forth.

I further certify that neither the audio operator nor I are attorney or counsel for, nor directly related to or employed by any of the parties to the action and/or proceeding in which this action is taken; and further, that neither the audio operator nor I are a relative or employee of any attorney or counsel employed by the parties, thereto, or financially interested in any way in the outcome of this action or proceeding.

In witness whereof I have hereunto set my hand and do so attest to the above, this 28th day of April, 2004.



Robin L. Focht
Vice President

Post Reporting Service
1-800-262-4102