

STATE OF CONNECTICUT
SITING COUNCIL


* * * * *
CONNECTICUT LIGHT & POWER COMPANY
AND UNITED ILLUMINATING COMPANY

APPLICATION FOR A CERTIFICATE OF
ENVIRONMENTAL COMPATIBILITY AND
PUBLIC NEED FOR THE CONSTRUCTION
OF A NEW 345-kV ELECTRIC
TRANSMISSION LINE AND ASSOCIATED
FACILITIES BETWEEN THE SCOVILL ROCK
SWITCHING STATION IN MIDDLETOWN
AND THE NORWALK SUBSTATION IN
NORWALK, CONNECTICUT

* * * * *

JULY 27, 2004
(10:05 A.M.)

DOCKET NO. 272



CONNECTICUT
SITING COUNCIL

BEFORE: PAMELA B. KATZ, CHAIRMAN

BOARD MEMBERS: Colin C. Tait, Vice Chairman
Brian Emerick, DEP Designee
Gerald J. Heffernan, DPUC Designee
Edward S. Wilensky
Daniel P. Lynch, Jr.
Philip T. Ashton
Brian O'Neill
James J. Murphy, Jr.

STAFF MEMBERS: S. Derek Phelps, Executive Director
Fred O. Cunliffe, Siting Analyst
Robert L. Marconi, AAG

APPEARANCES:

FOR THE APPLICANT, CONNECTICUT LIGHT & POWER
COMPANY:

CARMODY & TORRANCE, LLP
195 Church Street
P.O. Box 1950
New Haven, Connecticut
BY: ANTHONY M. FITZGERALD, ESQUIRE
BRIAN T. HENEERY, ESQUIRE

FOR THE APPLICANT, UNITED ILLUMINATING COMPANY:

WIGGIN & DANA, LLP
One Century Tower
P.O. Box 1832
New Haven, Connecticut 06508-1832
BY: LINDA L. RANDELL, ATTORNEY
BRUCE L. McDERMOTT, ESQUIRE

FOR THE PARTY, THE CITY OF MERIDEN:

DEBORAH L. MOORE, ATTORNEY
142 East Main Street
Room 239
Meriden, Connecticut 06450

FOR THE PARTIES, THE TOWN OF WESTON AND
THE TOWN OF WOODBRIDGE:

COHEN & WOLF
1115 Broad Street
Bridgeport, Connecticut 06604
BY: DAVID BALL, ESQUIRE

FOR THE PARTY, THE TOWN OF MILFORD:

HURWITZ & SAGARIN
147 North Broad Street
Box 112
Milford, Connecticut 06460
By: JULIE DONALDSON KOHLER, ATTORNEY

FOR THE PARTIES, THE TOWN OF WALLINGFORD AND
THE TOWN OF DURHAM:

HALLORAN & SAGE
One Goodwin Square
225 Asylum Street
Hartford, Connecticut 06103
BY: PETER BOUCHER, ESQUIRE

FOR THE PARTY, THE TOWN OF ORANGE:

SOUSA, STONE & D'AGOSTO
375 Bridgeport Avenue
Box 805
Shelton, Connecticut 06084
BY: BRIAN M. STONE, ESQUIRE

FOR THE PARTY, THE TOWN OF WILTON:

COHEN & WOLF
158 Deer Hill Avenue
Danbury, Connecticut 06810
BY: MONTE E. FRANK, ESQUIRE

FOR THE PARTY, ATTORNEY GENERAL BLUMENTHAL:

MICHAEL WERTHEIMER
Assistant Attorney General
Ten Franklin Square
New Britain, Connecticut 06051

FOR THE PARTY, THE OFFICE OF CONSUMER COUNSEL:

BRUCE C. JOHNSON, ESQUIRE
Office of Consumer Counsel
Ten Franklin Square
New Britain, Connecticut 06051

FOR THE PARTY, THE TOWN OF NORTH HAVEN:

UPDIKE, KELLY & SPELLACY
One State Street
Box 231277
Hartford, Connecticut 06123
BY: BENJAMIN J. BERGER, ESQUIRE

FOR THE PARTY, THE WOODLANDS COALITION FOR
RESPONSIBLE ENERGY:

PULLMAN & COMLEY
90 State House Square
Hartford, Connecticut 06103
BY: LAWRENCE J. GOLDEN, ESQUIRE

FOR THE PARTY, PSEG POWER CONNECTICUT LLC:

MCCARTER & ENGLISH
Cityplace I
185 Asylum Street
Hartford, Connecticut 06103
BY: DAVID REIF, ESQUIRE
JANE K. WARREN, ATTORNEY
JOEL B. CASEY, ESQUIRE

FOR THE INTERVENOR, ISO NEW ENGLAND:

WHITMAN, BREED, ABBOTT & MORGAN
100 Field Point Road
Greenwich, Connecticut 06830
BY: ANTHONY MacLEOD, ESQUIRE

FOR THE INTERVENORS, EZRA ACADEMY, B'NAI JACOB,
THE JEWISH COMMUNITY CENTER OF GREATER NEW HAVEN,
THE DEPARTMENT OF JEWISH EDUCATION, AND
THE JEWISH FEDERATION OF GREATER NEW HAVEN:

BRENNER, SALTZMAN & WALLMAN
271 Whitney Avenue
New Haven, Connecticut 06511
BY: DAVID R. SCHAEFER, ESQUIRE
KENNETH ROSENTHAL, ESQUIRE

FOR THE INTERVENOR CONNECTICUT BUSINESS & INDUSTRY
ASSOCIATION:

ROBERT E. EARLEY, ESQUIRE
350 Church Street
Hartford, Connecticut 06103

FOR THE PARTY, THE CONNECTICUT DEPARTMENT OF
TRANSPORTATION:

CHARLES W. WALSH, III, AAG
EILEEN MESKILL, AAG
Office of the Attorney General
55 Elm Street
Hartford, Connecticut 06106

FOR THE PARTY, THE TOWN OF WESTPORT:

WAKE, SEE, DIMES & BRYNICZKA
27 Imperial Avenue
Westport, Connecticut 06880
BY: EUGENE E. CEDERBAUM, ESQUIRE

FOR THE PARTY, SOUTH CENTRAL CONNECTICUT WATER
AUTHORITY:

MURTHA CULLINA LLP
Cityplace I
185 Asylum Street
Hartford, Connecticut 06103
BY: ANDREW W. LORD, ESQUIRE

FOR THE PARTY, COMMUNITIES FOR RESPONSIBLE ENERGY:

PATRICIA BRADLEY, PRESIDENT
47 Ironwood Lane
Durham, Connecticut 06422

FOR THE PARTY, THE CITY OF BRIDGEPORT:

MELANIE J. HOWLETT, ATTORNEY
Assistant City Attorney
City Hall Annex
999 Broad Street
Bridgeport, Connecticut 06604

FOR THE INTERVENOR, THE TOWN OF FAIRFIELD:

EILEEN KENNELLY, ATTORNEY
Assistant Town Attorney
Sullivan Independence Hall
725 Old Post Road
Fairfield, Connecticut 06824

FOR THE PARTY, THE CITY OF NEW HAVEN:

ELIZABETH GILSON, ATTORNEY
383 Orange Street
New Haven, Connecticut 06511

FOR THE PARTY, THE TOWN OF MIDDLEFIELD:

BRANSE & WILLIS, LLC
41-C New London Turnpike
Glen Lochen East
Glastonbury, Connecticut 06033
BY: ERIC KNAPP, ESQUIRE

FOR THE PARTY, THE CITY OF NORWALK:

LOUIS CICCARELLO, ESQUIRE
Corp. Counsel

FOR THE PARTY, THE TOWN OF CHESHIRE:

RICHARD J. BURTURLA, ESQUIRE

FOR THE PARTY, THE CITY OF MIDDLETOWN:

TIMOTHY P. LYNCH, ESQUIRE

A PARTY, THE TOWN OF EASTON

A PARTY, THE TOWN OF BETHANY

A PARTY, THE TOWN OF HAMDEN

AN INTERVENOR, THE FIRST DISTRICT WATER COMPANY

AN INTERVENOR, NORWALK ASSOCIATION OF SILVERMINE
HOMEOWNERS

A PARTY, ROBERT W. MEGNA, STATE REP. 97th DISTRICT

AN INTERVENOR, MARY G. FRITZ, STATE REP. 90th
DISTRICT

AN INTERVENOR, AL ADINOLFI, STATE REP. 103rd
DISTRICT

AN INTERVENOR, RAYMOND KALINOWSKI, STATE REP. 100th
DISTRICT

AN INTERVENOR, THEMIS KLARIDES, STATE REP. 114th
DISTRICT

AN INTERVENOR, JOHN E. STRIPP, STATE REP. 135th
DISTRICT

AN INTERVENOR, WILLIAM ANISKOVICH, STATE REP.
12th SEN. DISTRICT

AN INTERVENOR, JOSEPH CRISCO, JR., STATE REP.
17th SEN. DISTRICT

AN INTERVENOR, LEONARD FASANO, STATE REP.
34th SEN. DISTRICT

HEARING RE: CL&P and UI
JULY 27, 2004

1 . . .Verbatim proceedings of a hearing
2 before the State of Connecticut Siting Council in the
3 matter of an application by Connecticut Light & Power
4 Company and United Illuminating Company, held at Central
5 Connecticut State University Institute of Technology &
6 Business, 185 Main Street, New Britain, Connecticut, on
7 July 27, 2004 at 10:05 a.m., at which time the parties
8 were represented as hereinbefore set forth . . .

9
10
11 CHAIRMAN PAMELA B. KATZ: I'd like to call
12 the resumption of this hearing for Docket 272 to order.

13 I'm going to make a few introductory
14 remarks about what we're going to accomplish this week.
15 Then we are going to swear in one of the Applicants'
16 witnesses and then they will do an audio visual
17 presentation. I'm going to ask that we hold questions
18 before, during, and after that presentation and take those
19 questions up during our regular cross-examination cycle.

20 To start -- just -- just to give you an
21 idea, that back in the spring I was really optimistic
22 about this docket, things were starting to gel, I could
23 see the -- the Council members, we could start seeing
24 solutions coming and -- and things were coming together

HEARING RE: CL&P and UI
JULY 27, 2004

1 and we could see the light at the end of the tunnel.
2 Well, the light ended up being the headlight of the
3 oncoming locomotive of the Holyoke Express and we sort of
4 got knocked back down the tracks several hundred yards,
5 but I'm starting to get optimistic and energized again,
6 that I'm -- we're being able to visualize, hopefully, how
7 this docket is proceeding and again being able to see
8 possible solutions to this.

9 A couple of things, with your help, we are
10 going to accomplish this week. We are going to discuss
11 today and into tomorrow morning EMF mitigation/reduction
12 and buffer zones. If you read the transcript for the
13 House debate on the public act concerning buffer zones, it
14 gives broad discretion to the Siting Council on what the
15 buffer zone is. And on that turn, we appreciate all the
16 parties and intervenors and legislators who submitted
17 statements on what they think the buffer zone should be.
18 That was very helpful. And today what we need through
19 your cross-examination is to help us Council members
20 crystallize in our minds what would be a buffer zone.

21 The buffer zone's purpose is to protect the
22 public health and safety, especially in regard to
23 residences, schools, playgrounds, day care centers,
24 etcetera. But even though it doesn't say this in the

HEARING RE: CL&P and UI
JULY 27, 2004

1 legislation, it must also be practical, because I think
2 the buffer zone that we come out of with this docket is
3 going to be the starting point for future dockets in
4 regards to buffer zones. So we need -- we need your help
5 on helping to determine what these buffer zones will be.

6 Also today we are hoping to get again --
7 sort of be able to get down a firm idea on the potential
8 for EMF mitigation and what that will do and what that
9 won't do -- (audio failure) -- we're all on the same page
10 of the hymn -- (audio failure) -- well a door in some
11 cases -- (audio failure) -- we are continuing
12 undergrounding as directed --

13 (Interruption - audio failure)

14 CHAIRMAN KATZ: These things happen to
15 Rodney Dangerfield and to me.

16 Okay, we're -- where was I -- oh -- we are
17 going to continue to maximize undergrounding, but we also
18 realize there may be a portion of this line, we have no
19 idea how much, that will remain overhead. The Council
20 realizes that we want to make this -- this is going to be
21 an important piece of the solution; if it is overhead,
22 it's got to work, it's got to look good, which is why we
23 want to -- we want to this week get an idea of EMF
24 mitigation, heights of structures, and buffer zone. So if

HEARING RE: CL&P and UI
JULY 27, 2004

1 there is a portion that's overhead, we do it right. And
2 again, we're asking for your help on that.

3 Also, tomorrow -- probably tomorrow
4 afternoon, we have asked all the Towns to indicate to us
5 their preferred route, underground, overhead, and
6 combination. This was not meant to be a trick question.
7 The Council members really want to know and understand the
8 Towns' preferences in this area, so it will be part of our
9 big decision-making effort. So we're going to do that.

10 Thursday is going to be exclusively DC.
11 KEMA, our expert -- our in-house expert has indicated to
12 us they wanted us to look at DC. It seems like we are
13 getting some consensus on that. And we are going to spend
14 Thursday exclusively on DC so that again we get a firm
15 understanding of that technology and how it might work in
16 this system.

17 So that's the plan. Hopefully, we will be
18 able to walk out after three days -- (1) walk out after
19 three days; and (2) that you've left the Council members
20 with a good understanding of what you think this solution
21 should be for those portions that remain overhead, and
22 also whether DC works.

23 So we are going to start off -- Mr.
24 Marconi, we are going to swear in a witness and then we

HEARING RE: CL&P and UI
JULY 27, 2004

1 are going to start off with the Applicants' presentation.
2 And again, I ask that you hold off questions until after
3 we get to cross-examination. Mr. Frank.

4 MR. MONTE E. FRANK: Yes, thank you,
5 Chairman Katz. Monte Frank on behalf of the Towns of
6 Wilton, Weston, and Woodbridge.

7 First, thank you for giving us the
8 opportunity to discuss our preferred route. The Towns
9 certainly appreciate that opportunity. Given the short
10 notice, the towns at least that I represent will not be
11 prepared to do that tomorrow, but we relish the
12 opportunity to do so and would like to reserve our right
13 to do so at a later day.

14 CHAIRMAN KATZ: So noted.

15 MR. FRANK: Okay. Secondly, with respect
16 to the presentation, during the last set of hearings, I
17 requested on behalf of my towns that the Applicant provide
18 in advance a copy of what they would be presenting to the
19 Council. And I think it was agreed that they would do
20 that. We are now here, they are making a presentation.
21 It is my understanding it will contain some new
22 information with respect to split-phasing and other items.
23 We have not seen it. I think it's unfair to expect us to
24 cross-examine on it today or even this week without having

HEARING RE: CL&P and UI
JULY 27, 2004

1 any sort of knowledge as to what the content of the
2 materials are. And so -- I don't have an objection to the
3 presentation, but I would like to be able to cross-
4 examine, if necessary, at a later date based on the
5 materials.

6 CHAIRMAN KATZ: Yes. I envision a cleanup
7 day at the end of the hearing process and these -- a lot
8 of these things that are still bubbling along can be taken
9 care of at that time.

10 MR. FRANK: But it may require the
11 Applicant to bring these witnesses back.

12 CHAIRMAN KATZ: Understood.

13 MR. FRANK: Thank you.

14 MS. LINDA RANDELL: Chairman Katz, might I
15 respond -- are we all set here? I'd like to respond. The
16 presentation is not new information. It is presenting
17 information that is otherwise in the record or will be
18 adopted today; for example, the mapping that was submitted
19 already. But of course we have no problem with people
20 inquiring about the information that we present. But I
21 wanted to be clear that this is not, you know,
22 dramatically different data of any sort.

23 MR. FRANK: I, respectfully, disagree.
24 It's my understanding that --

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: Mr. Frank, you haven't even
2 seen it yet. I haven't seen it yet. Why don't we take
3 this up --

4 MR. FRANK: Just one second. It's my
5 understanding that there will be some presentation about
6 this model that they've developed in the field, which is
7 certainly new information.

8 CHAIRMAN KATZ: But we'll all know better
9 after we see it. Three days, huh? Okay, are we ready to
10 swear in the witness and have the presentation?

11 MS. RANDELL: We actually have two
12 witnesses to swear this morning, Albert Cretella and Dr.
13 Gary Johnson.

14 CHAIRMAN KATZ: Okay. Mr. Marconi, can you
15 take care of that.

16 MR. ROBERT L. MARCONI: If both --

17 AUDIO TECHNICIAN: Could we go off the
18 record for a moment --

19 COURT REPORTER: Could we go off the record
20 for a moment please.

21 (Off the record for an audio equipment
22 check)

23 COURT REPORTER: We're on the record.

24 MR. MARCONI: Okay?

HEARING RE: CL&P and UI
JULY 27, 2004

1 COURT REPORTER: Go ahead.

2 MR. MARCONI: Thank you. Now what I would
3 ask for each witness is to state your full name, spell
4 your name for the benefit of the court reporter, and state
5 your position. And then after that, I'll ask both of you
6 to rise and please raise your right hand.

7 MR. ALBERT W. CRETELLA: Albert -- my name
8 is Albert W. Cretella, III. I am Project Manager for the
9 Middletown/Norwalk Project. I work for Northeast
10 Utilities Service Company.

11 MR. MARCONI: Okay.

12 COURT REPORTER: Spell --

13 MR. CRETELLA: The spelling of the name, A-
14 l-b-e-r-t. The last name C-r-e-t-e-l-l-a.

15 MR. MARCONI: Thank you.

16 DR. GARY JOHNSON: Gary Johnson. I'm a
17 Managing Engineer at Exponent --

18 COURT REPORTER: Wait --

19 DR. JOHNSON: I'm not coming through?

20 AUDIO TECHNICIAN: Move the mic closer.

21 DR. JOHNSON: Gary Johnson --

22 MR. MARCONI: Okay -- (pause) --

23 AUDIO TECHNICIAN: Try again please.

24 MR. MARCONI: Once more with feeling.

HEARING RE: CL&P and UI
JULY 27, 2004

1 DR. JOHNSON: Dr. Gary Johnson. I'm a
2 Managing Engineer at Exponent. The spelling of the name
3 is Gary, G-a-r-y, Johnson, J-o-h-n-s-o-n.

4 MS. RANDELL: Mr. Marconi --

5 MR. MARCONI: Yes --

6 MS. RANDELL: -- we do have the curriculum
7 vitae for Mr. Cretella here today, which we'll hand out.
8 And Dr. Johnson's we should have before the lunch break
9 and we can bring it back after lunch --

10 MR. MARCONI: If --

11 MS. RANDELL: -- if that's agreeable.

12 MR. MARCONI: If you'd like them as
13 exhibits, you're going to want to have them identify it.

14 MS. RANDELL: Indeed --

15 MR. MARCONI: Okay --

16 MS. RANDELL: -- we will then.

17 MR. MARCONI: Okay, very good. Okay,
18 gentlemen, if you could please rise and please raise your
19 right hand.

20 (Whereupon, Dr. Gary Johnson and Albert
21 Cretella were duly sworn in.)

22 MR. MARCONI: Please be seated. Okay,
23 thank you.

24 (Pause, video slide presentation being set

HEARING RE: CL&P and UI
JULY 27, 2004

1 up.)

2 MS. ANNE BARTOSEWICZ: Good morning. My
3 name is Anne Bartosewicz. I'm the Project Director of the
4 Middletown to Norwalk Project for Northeast Utilities.

5 Before I go into this presentation, one
6 thing I would like to mention is what this presentation is
7 about. And this is -- this presentation is to provide
8 data to the Connecticut Siting Council. It doesn't
9 presume any results of the Reliability and Operating
10 Committee work. So, I wanted to make that clear at the
11 beginning. We're going to walk through Cross-Sections 1
12 through 8 of the overhead portion to just give a base
13 level of information. So let's -- let's start with the
14 overview.

15 There are two main objectives of the
16 presentation. The first is that we're going to talk about
17 some strategies for reducing magnetic fields from overhead
18 lines. And we're going to do this by walking through
19 Cross-Sections 1 through 8. And before we actually start,
20 what I wanted to do is give you a definition. And what
21 I'm reading from is the legislation so we're all on the
22 same page. And in establishing buffer zones, the
23 legislation states that we need to take into consideration
24 residential areas, private or public schools, licensed

HEARING RE: CL&P and UI
JULY 27, 2004

1 child day care facilities, licensed youth camps, or public
2 playgrounds adjacent to the proposed route of the overhead
3 portions. And that is specifically what we're here to
4 show you today.

5 On Saturday and Monday, the companies filed
6 a set of maps to the participants. It's -- the basis of
7 these maps is what you're going to see today. It's an
8 aerial view, 1,000 scale, and we've identified -- we've
9 searched out these statutory facilities for buffer zones
10 adjacent to the proposed route and we're going to show you
11 where they sit on the right-of-way. And then for each
12 cross-section, we're going to walk through potential
13 mitigation measures. Why don't you go ahead and we'll
14 start.

15 There are, essentially, three strategies to
16 reduce magnetic fields. The first one add distance. You
17 can do that by widening the right-of-way, you can do it by
18 increasing the pole height, or you can relocate the line.
19 The second one is you can optimize phasing. And you can
20 see the little structure on the bottom left there, the ABC
21 and the CBA, that is, essentially, what the split-phase
22 does, and it does optimize the phasing and it reduces
23 magnetic fields.

24 On the third -- the third portion of this

HEARING RE: CL&P and UI
JULY 27, 2004

1 slide shows optimization of structures. And you can see
2 that the structure on the left is an H-frame, the one in
3 the center is a vertical, and the one on the right is a
4 delta configuration. And depending on cancellation
5 effects, some structures in relation to other structures
6 will give you either a greater or a reduced cancellation.
7 So these are the three tools that we have available to us
8 as we talk about mitigation.

9 MR. CRETELLA: Good morning. I'm Al
10 Cretella, Project Manager for Middletown/Norwalk.

11 You will see a series of maps that look
12 like this as we go through the presentation. Each map
13 will depict a particular cross-section in the overhead
14 portions of the line. This first cross-section runs from
15 Scovill Rock Substation to Chestnut Junction. It's about
16 2.6 miles long. In this particular cross-section there
17 are no buffer zone statutory facilities adjacent to the
18 right-of-way. However, when we look at the cross-
19 sections, we can see that there are measures that can be
20 taken to reduce EMF at the right-of-way border. The
21 configuration -- the proposed configuration shows some
22 reduction in magnetic fields at the right-of-way border,
23 but Options 1 and 3, from information that was previously
24 filed on the record, show that there could be further

HEARING RE: CL&P and UI
JULY 27, 2004

1 reductions in magnetic field at the edge of the right-of-
2 way.

3 Again, this information -- the information
4 on the left, the two aerial photos were filed with the
5 application in one of the volumes. The little stick
6 figures on the cross-section and the type of structures
7 that could be used were filed originally on May 28th as
8 part of an EMF mitigation filing. That information was
9 slightly modified on a July filing just to correct a few
10 of the cross-numbers associated with that. The
11 information shown on the charts at the bottom is contained
12 in Dr. Bailey's testimony, Exhibit 1.

13 So essentially all of the information that
14 you're going to see on these slides has been filed on the
15 record at this point in time. This is kind of a pulling
16 together of all the various pieces of information to give
17 a better feel for what these cross-sections are and how we
18 can reduce EMFs along the borders of the right-of-way.

19 MS. BARTOSEWICZ: This is Cross-Section 2,
20 it is in the Towns of Haddam, Durham, and Middlefield, and
21 in Wallingford from Oxbow Junction to Besock Substation.
22 Along this right-of-way you see -- and you'll see on all
23 of these aerials some designations. The R designation is
24 a residential area. DC would be a day care. We'll see a

HEARING RE: CL&P and UI
JULY 27, 2004

1 few others as we go along. Along this right-of-way you
2 see R-11 and R-70. R-11 is the Royal Oak neighborhood and
3 R-70 is Valley View Drive.

4 And let me just give a quick definition.
5 The legislation provides for residential areas adjacent to
6 the right-of-way. And in order for us to get our arms
7 around what that meant, we came up with a way of measuring
8 that essentially. And what we did is we looked at these
9 maps and we said if they are within 300 feet of the right-
10 of-way, the residential areas, for a length of about 2,000
11 feet, so that's a cluster of homes, a group of homes
12 essentially, that we would identify that by one of these
13 designations. And these designations tie to Dr. Bailey's
14 testimony, Exhibit 2 of his testimony filed on the 19th.
15 So every one of these facilities that we walk through are
16 shown in Dr. Bailey's exhibit and they're shown -- all of
17 the numbers on that bar chart are also shown.

18 So in this area we've got the two
19 residential neighborhoods. And on the next slide we'll
20 see some mitigation there. The -- Option 3 is the split-
21 phase option. And as you can see, it shows you it's the
22 lowest calculated value. I'll talk a bit about Option 6,
23 because one of the things we did look at for Durham is a
24 bypass around the Royal Oak neighborhood. And there's an

HEARING RE: CL&P and UI
JULY 27, 2004

1 interesting point here, if you look at Option 3, if you
2 look at the bottom, the yellow bar, and you look at the
3 bypass, which is the blue bar on the very right-hand side,
4 you can see that if you move the 345 structures off of the
5 right-of-way through the neighborhood and left the 115's
6 there, that the levels are actually higher than if you
7 left the split-phase on the right-of-way and put the 115
8 underground.

9 So you'll see as we go through this
10 presentation that what's on the right-of-way, what's
11 adjacent to it, how tall the structures are, all have an
12 effect on your magnetic field calculation. So for this --
13 for these two neighborhoods, if you wanted to look at the
14 field calculation that has the lowest, you would see
15 Option 3 provides that for you.

16 MR. CRETELLA: On Cross-Section 3, which
17 runs from Black Pond Junction down to East Meriden
18 Substation, there is one residential area abutting the
19 right-of-way. This is the High Hill Road residential area
20 on the east side of the right-of-way. In this particular
21 configuration, Option 1 produces the lowest EMFs on that
22 particular side of the right-of-way where this buffer zone
23 statutory facility is located. It's interesting to note
24 that obviously Option 2 would produce better results on

HEARING RE: CL&P and UI
JULY 27, 2004

1 the west side of the right-of-way, however there are no
2 buffer zones statutory facilities on that side of the
3 right-of-way. Again, this is part of the tradeoff between
4 structure design and height and EMF at the boundary of the
5 right-of-way or at statutory facilities that must be made
6 in order to determine what the proper configuration should
7 be.

8 For this particular statutory facility, the
9 High Hill Road residential area, under Option 1 the
10 magnetic field at that facility, which includes the
11 appropriate distance to that facility, is 2 milligauss as
12 a result of Option 1. And again in this particular
13 instance when we talk about distance to the residential
14 area statutory facility, we are using the closest
15 structure -- for this presentation we are using the
16 closest structure in that residential area in order to
17 determine the calculations. For the individual statutory
18 facility, such as day cares, licensed youth camps, public
19 playgrounds, we've used specific distances to those
20 particular facilities in doing the calculations of the
21 EMF.

22 MS. BARTOSEWICZ: One of the things I just
23 want to note while we're still on this slide is these are
24 -- this slide is essentially a calculation of a typical

HEARING RE: CL&P and UI
JULY 27, 2004

1 cross-section. In Dr. Bailey's testimony in Exhibit 2,
2 the statutory facilities adjacent to the right-of-way were
3 actually -- we went out and we actually measured the
4 distance -- so when we talk about -- when you -- when you
5 look at these cross-sections, they're typical numbers.
6 For all of the facilities, we've actually gone out and
7 done a specific calculation based on the typical cross-
8 section but with the actual distance from that facility.
9 So as we go through the rest of this presentation, we will
10 be providing you some numbers which appear in Dr. Bailey's
11 testimony that may be slightly different from the ones you
12 see on the screen because these were done for the typical
13 cross-section, and the specific number we're giving are
14 actually -- we actually went out and took the measurements
15 from a specific distance. So there's -- you'll see us
16 talk about two different numbers. Go ahead.

17 Cross-Section 4 is from -- in Meriden from
18 East Meriden Substation to -- or actually East Meriden
19 Junction to the proposed Beseck Substation. There are two
20 facilities. The DC designation is a day care and the RO-2
21 is the High Hill, Sweet Birch Road neighborhood. This --
22 this cross-section, Option 1, provides fields obviously
23 lower than they are today. The existing -- the blue
24 columns are the existing fields. And Option 1 provides

HEARING RE: CL&P and UI
JULY 27, 2004

1 the lowest cross-section option. At both the day care and
2 the neighborhood when calculated with the appropriate
3 distances, the milligauss reading is at 1.7.

4 MR. CRETELLA: Cross-Section 5 runs from
5 Beseck Substation to the East Wallingford Junction, a
6 distance of almost six miles. In this particular cross-
7 section there are four buffer zone statutory facilities
8 adjacent to the right-of-way. All four are residential
9 areas; the High Hill Road combination, Whiskey Wind Road
10 on the east side of the right-of-way, the south end of
11 High Hill Road also on the east side of the right-of-way,
12 the Williams Road area, the north part of Williams Road on
13 the west side of the right-of-way, and the Mulligan Drive
14 neighborhood on the east side of the right-of-way.

15 When we look at the options we have for
16 reducing EMFs, we can see that the proposed actually has a
17 slight increase in EMF at the right-of-way border. When
18 we look at Option 6, we find that we can reduce the
19 magnetic fields at the right-of-way border the greatest.
20 When we look at the specific individual buffer zone
21 residential areas, the three on the east side of the
22 right-of-way, Option 2 would produce the lowest EMF levels
23 for those facilities. However, when we look at the north
24 Williams Road area on the west side of the right-of-way,

HEARING RE: CL&P and UI
JULY 27, 2004

1 Option 6 would produce the lowest magnetic fields for that
2 particular facility. Again, this is a tradeoff. To
3 reduce -- to use Option 6 would mean that you'd lower on
4 the west side, but you'd be just slightly higher than
5 Option 2 on the east side. In this particular situation
6 when we looked at the actual distances for these four
7 residential buffer zone areas adjacent to the right-of-
8 way, the range under Option 6 would be from .9 milligauss
9 to 4.3 milligauss, again for each of those.

10 MS. BARTOSEWICZ: Cross-section -- and some
11 of these cross-sections we've broken up into smaller
12 pieces, (a) they didn't all fit on the screen, and (b) the
13 configuration might have changed throughout the cross-
14 section.

15 So this is Cross-Section 6 East. It's from
16 East Wallingford Junction to North Haven Junction, about
17 1.4 miles. There is one area, a residential area at
18 Mariot Circle. Option 3 produces -- for the residential
19 area it produces the lowest -- the lowest magnetic field.
20 The calculated distance for Mariot Circle is 3.7
21 milligauss. And that would provide the taller structure
22 through this 1.4 miles.

23 A VOICE: Could you tell what Option 3 --
24 what that is -- (indiscernible) -- split-phasing --

HEARING RE: CL&P and UI
JULY 27, 2004

1 (indiscernible) -- call it a structure?

2 MS. BARTOSEWICZ: On Option 3 --

3 COURT REPORTER: Whoa, wait -- you need to
4 talk into a microphone --

5 A VOICE: (Indiscernible) --

6 MS. BARTOSEWICZ: Sure. The question was
7 what the structure actually was doing. And let's just go
8 back to the structure for a second -- can we go backwards?
9 You see that Option 3 here is not a split-phase option.
10 On this right-of-way today you have an existing 115 line.
11 And we chose here to put the 115 and the 345 on the same
12 structure. So in this case we used pole height to reduce
13 the magnetic field.

14 Another option could have been two
15 different structures, with the 115 on one side and the 345
16 on the other structure, and then you might have done a
17 split-phasing. So there are still -- we tried to look at
18 what we thought was going to be the best magnetic field
19 calculation. In this particular option it's not a split-
20 phase, it's just using the pole height to reduce the
21 magnetic field level.

22 And we can identify from these structures --
23 -- and what you see on the picture -- when the davit arms
24 are the same size, you're essentially looking at a split-

HEARING RE: CL&P and UI
JULY 27, 2004

1 phase. When they're different sizes, you're looking at
2 different types of circuits on either side of the pole
3 structure.

4 MR. CRETELLA: Cross-Section 6 West runs
5 from North Haven Junction to Wallingford Junction, a very
6 short stretch, only about six-tenths of a mile. There is
7 only one buffer zone statutory facility adjacent to the
8 right-of-way in this cross-section. It happens to be a
9 public playground, specifically the ballfields on South
10 Cherry Street, which are on the south side of the right-
11 of-way. It is our understanding, and I believe a
12 representative of Wallingford confirmed that this morning,
13 that these ballfields have been abandoned due to chemical
14 contamination on the site. The rest of this -- the rest
15 of this cross-section runs basically through an industrial
16 area so there were no specific EMF reduction measures
17 looked at for this particular cross-section.

18 MS. BARTOSEWICZ: Cross-Section 7 is two
19 and a half miles from Wallingford Junction to the Cheshire
20 town line. As you can see there is one residential area,
21 Mansion Road in this area.

22 Option 4 produces the lowest magnetic
23 fields for the Mansion Road area. It actually produces a
24 1-milligauss level at the closest structure to the right-

HEARING RE: CL&P and UI
JULY 27, 2004

1 of-way. And if you look at the structures for Option 4,
2 the monopole is a split-phase. The existing 115 remains
3 and we add the 345 on a second structure with a split-
4 phase.

5 MR. CRETELLA: Cross-Section 7-B is a very
6 short cross-section, it happens to be one little leg
7 associated with a supported change that has been filed in
8 this docket already. That supported change would be to
9 take the 115 -- one of the 115-kV circuits and put it
10 underground along Old Farms Road and have a single
11 structure on the right-of-way with a 115 and a 345
12 combination. This was done essentially to reduce the
13 right-of-way clearing across the front yards of the houses
14 along the south side of the right-of-way. This right-of-
15 way essentially runs right along the front yards of these
16 residences.

17 When we looked at the options that we had
18 for this particular area, we see that Option 2 really
19 produces the lowest magnetic fields at the border of the
20 right-of-way. Again, the tradeoff in looking at these
21 options, you can see that structure height is an important
22 factor. Particularly for the situation in this area, the
23 -- Option 2 produces the magnetic fields of about 1.1
24 milligauss for this particular residential area on the

HEARING RE: CL&P and UI
JULY 27, 2004

1 south side. Again, Option 2 is a 130-foot tower with a
2 split-phase 345 on it, and it would take both of the 115
3 circuits and put them underground along Old Farms Road.

4 MS. BARTOSEWICZ: Cross-Section 8-A is from
5 Cook Hill Junction to the Hamden town line, about four-
6 tenths of a mile. There is a residential neighborhood
7 along Old Farms Road in this area. And in this section,
8 Option 4 produces the lowest magnetic field value. At the
9 closest structure the calculated value is 0.7 milligauss.
10 It does require one of the 115's to remain underground,
11 which as our supported change provides. It does also
12 provide for the split-phase of the 345-kV line on a single
13 structure.

14 MR. CRETELLA: Cross-Section 8 North runs
15 from the Hamden/Cheshire town line to Glen Lake Junction,
16 a distance of approximately 7.1 miles. We're starting to
17 move into the much longer stretches where cross-sections
18 would apply between somewhere in the Cook Hill Junction
19 area all the way south to East Devon.

20 In this particular cross-section there is
21 one buffer zone statutory facility adjacent to the right-
22 of-way, it's the Darley Road residential area on the north
23 side of the right-of-way in Hamden. In looking at the
24 options that we have for this particular cross-section, we

HEARING RE: CL&P and UI
JULY 27, 2004

1 find that Option 5 produces the lowest EMF -- the lowest
2 magnetic fields at the right-of-way border. Option 5 is a
3 taller tower than what was proposed in both cases for the
4 115 and the 345. It moves the 115 tower height up to 110
5 feet where in our proposed approach it was only at 80
6 feet. It moves the 345 tower up to 135 feet compared to
7 an 85-foot tower associated with the proposal. Again,
8 there's a tradeoff in structure height and design of the
9 structure to reduce magnetic fields.

10 In this particular situation you could look
11 at Option 4, which would produce similar types of fields
12 at the right-of-way border and lower the structures back
13 down to 80 and 105 feet accordingly. Again, this is a
14 tradeoff between the magnetic fields and the structure
15 heights. For the particular residential area, using
16 Option 5, we end up with a 1.7 milligauss level at the
17 buffer zone statutory facility. If we went to Option 4,
18 which would make the towers just a little bit shorter -- I
19 shouldn't say a little bit -- 30 feet shorter -- that EMF
20 level -- that magnetic field level would be at 2.7
21 milligauss instead of the 1.7. Again, a tradeoff between
22 EMF and the structure height.

23 MS. BARTOSEWICZ: Cross-Section 8, we
24 labeled this Middle, is from Glen Lake Junction to Pease

HEARING RE: CL&P and UI
JULY 27, 2004

1 Road Junction, approximately 2.9 miles long. There are
2 two statutory facilities adjacent to the right-of-way
3 here. DC-47 is the JCC, Jewish Community Center Day Care.
4 And the one across the right-of-way on the west side, P-
5 19, is the Jewish Community Center baseball field.

6 Of the two options we show here, Option 5
7 provides the lowest magnetic field reading. At the -- let
8 me get this right -- at the baseball field the actual
9 reading, the calculated reading is 0.6 milligauss, and at
10 the JCC Day Care facility, it would be 0.3 milligauss. So
11 as you see, Option 5 provides you the lowest magnetic
12 field reading. And the structures here, the 345 is a
13 split-phase here. The 115 is on its own structure. They
14 are both taller than proposed in the application, however
15 we get to 0.6 and 0.3 milligauss respectively.

16 MR. CRETELLA: Cross-Section 8 South is a
17 pretty long stretch, it runs from Pease Road Junction down
18 to East Devon Substation, a distance of about 12 miles.
19 In order to show this entire cross-section, we've split it
20 into two sections. And I'll talk about the north section
21 of this cross-section and the south section.

22 In the north section, which runs through
23 Woodbridge and Orange, there are seven buffer zone
24 statutory facilities adjacent to the right-of-way. Again

HEARING RE: CL&P and UI
JULY 27, 2004

1 through this area in Orange and Milford, we're seeing some
2 of the more densely populated areas where the right-of-way
3 goes through. There are two schools on this section, the
4 Ezra Academy and the -- I guess it's combined with Gan
5 Hayed, excuse me if I pronounce it wrong, School on the
6 east side of the right-of-way in Milford, and there is
7 Race Brook Elementary School on the west side of the
8 right-of-way in Orange. And again, the schools are
9 designated with the S nomenclature in our mapping.

10 In addition to that there are five
11 residential areas. There is one in Woodbridge and there
12 is four in Orange. On the east side of the right-of-way
13 we have the Salem Road neighborhood and the Dogwood Road
14 neighborhood. On the west side of the right-of-way, the
15 Bittersweet Road neighborhood, the Overland Drive
16 neighborhood, and the South Race Brook Road neighborhood.

17 In the southern section of this Cross-
18 Section 8, which basically finishes up Orange and runs in
19 Milford down to the proposed East Devon Substation, there
20 are 11 buffer zone statutory facilities adjacent to the
21 right-of-way. We have one licensed day care facility at
22 the Orange High Plains Community Center, which is on the
23 west side of the right-of-way. We have two public
24 playgrounds, one at the Orange High Plains Community

HEARING RE: CL&P and UI
JULY 27, 2004

1 Center and one at Eisenhower Park ballfields in Milford.
2 In addition, there are eight buffer zone statutory
3 residential areas adjacent to the right-of-way, four in
4 Orange and four in Milford. There are three on the west
5 side and five on the east side of the right-of-way.
6 Again, a very densely populated stretch of the right-of-
7 way.

8 When we look at the specific configurations
9 and options we have, Option 5 produces the lowest
10 calculated fields at the right-of-way border, in the areas
11 of 2.9 milligauss and .6 milligauss. Again, Option 5 is a
12 split-phase design for the 345. It is on a 135-foot
13 structure as compared to an 85-foot structure which was in
14 our proposal. The 115 lines would be on a 110-foot
15 structure as compared to an 80-foot structure in our
16 proposal.

17 For these particular buffer zone statutory
18 facilities, the Option 5 results produce a zero magnetic
19 field at the Race Brook Elementary School and they produce
20 a .5 milligauss field at the Ezra Academy facility.

21 For the residential areas along this right-
22 of-way, Option 5 -- for the ones on the west side of the
23 right-of-way, Option 5 produces fields that range from 2.3
24 to 2.9 milligauss for the residential statutory facilities

HEARING RE: CL&P and UI
JULY 27, 2004

1 on the west. And on the east side of the right-of-way,
2 which happens to be a little bit better than the west for
3 EMF fields -- or magnetic fields, excuse me -- the
4 residences along the -- the seven residential areas along
5 the east side of the right-of-way would see field levels
6 from .4 to .6 milligauss.

7 MS. BARTOSEWICZ: I just -- two final
8 comments. That's the end of this piece of the
9 presentation. I want everyone to note that the calculated
10 values displayed on these slides are based on the 15-
11 gigawatt average New England load case and are included
12 again in Dr. Bailey's testimony.

13 And the last comment is for those who came
14 in in the middle, I want to make sure we all understand
15 this does not presume the results of the Reliability and
16 Operating Committee, that this is information for the
17 Council based on EMF mitigation along the overhead
18 proposed route. Thank you. I think --

19 CHAIRMAN KATZ: Before we go to the next
20 presentation, Mr. Smith of Wallingford Utilities is just
21 going to make a clarification on the ballfields.

22 MS. BARTOSEWICZ: Sure.

23 COURT REPORTER: State your name and spell
24 it please.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. RAYMOND SMITH: Raymond Smith, Director
2 of Public Utilities for the Town of Wallingford.

3 In Cross-Section 6, Mr. Cretella referenced
4 the closing down of the ballfields. That was not because
5 of chemical contamination. I just want to set the record
6 straight on that. Thank you.

7 MR. CRETELLA: My apologies.

8 COURT REPORTER: One moment please.

9 (Pause). Thank you.

10 MS. BARTOSEWICZ: I just want to introduce
11 the next part of the presentation. Dr. Bailey has
12 provided us with a video that he had produced regarding
13 split-phase. And I believe Dr. Gary Johnson is going to
14 run this for us.

15 (Pause)

16 DR. WILLIAM BAILEY: By way of
17 introduction, questions have been asked about the design
18 of a transmission line in the so-called split-phase
19 configuration and the reduction in magnetic fields that
20 are achieved. We -- through the assistance of Northeast
21 Utilities and UI, we identified a -- we have provided a
22 model of the split-phase design and produced a video tape
23 of it that exemplifies the measurements of the magnetic
24 fields we made of a standard three-wire line and a split-

HEARING RE: CL&P and UI
JULY 27, 2004

1 phase line with six wires, and then with the optimal
2 configuration sometimes of the phasing sometimes referred
3 to as a reversed phase split-phase design. So with that,
4 we'll start the video. And at a couple of points, we'll
5 stop to comment on it. Gary.

6 (Audio Video played)

7 DR. BAILEY: I'd just like to stop here to
8 comment that for each of the three demonstrations we're
9 going to do, we're going to be measuring the current
10 coming from the building into the -- that were then
11 distributed into the model to make sure that those
12 currents have not changed between the three examples. And
13 you shall see as we go through the video, they're all
14 around 19.3 amps on each of the three wires coming into
15 the phases.

16 (Audio Video played)

17 DR. BAILEY: Just -- just one comment here.
18 We only had three recording magnetic field meters. So in
19 the video what we showed are the measurements made with
20 those three meters. We also took later when -- after we
21 completed the demonstrations, we took an additional
22 measurement further away, a fourth measurement further
23 away that was not recorded in the video tape because we
24 wanted to show how the fields fell off further with

HEARING RE: CL&P and UI
JULY 27, 2004

1 distance from the line. Continue, Gary.

2 (Audio Video played)

3 DR. BAILEY: Stop.

4 (Audio Video played)

5 DR. BAILEY: Just to comment, this -- what
6 we've now done is taken the currents that were applied to
7 three wires at 19.3 amps of current approximately and now
8 it's been distributed to six wires, and they're in the
9 ABC, ABC configuration.

10 CHAIRMAN KATZ: Dr. Bailey, less hands --
11 closer to --

12 DR. BAILEY: Thank you --

13 CHAIRMAN KATZ: -- more mic --

14 DR. BAILEY: Continue.

15 (Audio Video played)

16 DR. BAILEY: Here we're taking that 19.3
17 amps of current and dividing that current from each phase
18 conductor. Each of those three wires was measured. The
19 current from one of those wires is now being distributed
20 to two wires on the transmission line, one on one side of
21 the model and one on the other.

22 (Audio Video played)

23 DR. BAILEY: Stop, Gary. Here we see the
24 blue dots illustrating the measured magnetic fields during

HEARING RE: CL&P and UI
JULY 27, 2004

1 this experiment and the solid line shows the calculated
2 field levels. And as you can see, there's a good
3 agreement for those measured and calculated points.
4 Continue.

5 (Audio Video played)

6 DR. BAILEY: Stop. Here we are showing the
7 Phases ABC on the left-hand side of the model and we just
8 had measured the fields with the right-hand phases, right-
9 hand conductors phase ABC. Now to optimize the phasing,
10 we want to reverse that. Essentially, we want the phase
11 that was previously at the bottom conductor in the
12 previous model as shown by the purple arrow to be
13 connected to the top wire on the right, and we want the
14 Phase A that was previously connected to the top conductor
15 to now be presented to the bottom conductor. So you can
16 see if you look across the model, looking across the top,
17 you would have then A balanced by C at the top, the B
18 phase is -- do not change on either side. And then the C
19 phase is balanced by the A phase at the bottom.

20 (Audio Video played)

21 DR. BAILEY: Now what we're going to do is
22 we've gone through three different experiments. One is
23 measuring the fields from the three-wire vertical
24 configuration. Next we took measurements from the six-

HEARING RE: CL&P and UI
JULY 27, 2004

1 wire split-phase configuration. And third, we measured
2 fields from the optimized split-phase line. Throughout
3 these experiments the same amount of power was delivered
4 to the circuits whether -- no matter what configuration
5 they were in, it was about 19.3 amps per phase averaged
6 over the whole experiments. So in the next graph we're
7 going to show what the results are in comparison of these
8 three line designs and the effect on magnetic fields.

9 (Audio Video played)

10 DR. BAILEY: You can see the top profile
11 shows the highest magnetic fields measured just a little
12 over -- by predicted, a little over 80 milligauss. At the
13 point we measured near the center of the conductors, it
14 was about 70 milligauss. And you can see that the
15 magnetic field from the three-wire vertical line falls off
16 on either side of the conductors with distance.

17 Then we go to the green line, which shows
18 the magnetic field calculated for the six-wire split-phase
19 line, and you can see just distributing the current
20 through six conductors instead of three conductors results
21 in a lower magnetic field. And those values are in
22 agreement with our measurements.

23 And then finally, we optimized the phasing
24 of the split-phase configuration to be ABC on the left and

HEARING RE: CL&P and UI
JULY 27, 2004

1 CBA on the right. And you can see still lower magnetic
2 fields are produced by this design, lower than the
3 previous designs we showed. It becomes particularly
4 evident as you go further away from the conductors.

5 (Audio Video played)

6 (Audio Video ends)

7 CHAIRMAN KATZ: We're going to take a five-
8 minute break. When we come back, Mr. Frank, I am --
9 having seen the presentations, I am sympathetic now to the
10 point that this is new evidence. So while we'll have
11 cross-examination on this today, I am going to allow
12 parties and intervenors to come back to this at a later
13 time of these witnesses.

14 So we'll resume in five minutes with cross-
15 examination of the panel, but before you stand up,
16 Attorney Larry Golden is seriously ill and I just ask that
17 everyone please keep him in your thoughts and prayers.
18 And we'll resume in five minutes.

19 (Whereupon, a short recess was taken.)

20 CHAIRMAN KATZ: We're going to resume. At
21 this point, we have certain Applicants' exhibits which
22 must be verified. So we'll go to page 17 of the hearing
23 program, Mr. Fitzgerald, and go from there.

24 MR. ANTHONY FITZGERALD: Yes, thank you.

HEARING RE: CL&P and UI
JULY 27, 2004

1 The first highlighted item is the update of Exhibit 113 --

2 A VOICE: No --

3 MR. FITZGERALD: No?

4 A VOICE: 96 --

5 MR. FITZGERALD: I'm sorry. The first item
6 is -- on page 17, Item 96, the revision of the May 28th
7 exhibits, EMF mitigation for all sections. That was
8 updated and submitted on July 21st with a cover letter
9 explaining the changes. And do you have any further
10 changes to that, Dr. Bailey?

11 DR. BAILEY: No, I -- (indiscernible) --

12 COURT REPORTER: Again, Dr. Bailey.

13 DR. BAILEY: No, I do not.

14 MR. FITZGERALD: So, Dr. Bailey, do you
15 adopt revised Exhibit 96, dated July 21, 2004 as part of
16 your testimony and as sponsored as true and correct to the
17 best of your knowledge?

18 DR. BAILEY: Yes.

19 MR. FITZGERALD: Now, the next item on page
20 18 is No. 113, there isn't -- the exhibit is identified as
21 an updated Calculation of Fault Rate Data for XLPE
22 Circuits. The transcript discloses that this exhibit is a
23 presentation in exhibit form of the information to which
24 Mr. Gregory testified while he was here. And we would --

HEARING RE: CL&P and UI
JULY 27, 2004

1 we would ask that that exhibit be admitted just as a
2 record of information given under oath already and not --
3 that we not be required to bring Mr. Gregory back from
4 England to verify that.

5 CHAIRMAN KATZ: Is there any objection to
6 making 113 a full exhibit based on that explanation?
7 Hearing none, we'll do that.

8 (Whereupon, Applicant Exhibit No. 113 was
9 admitted into evidence as a full exhibit.)

10 MR. FITZGERALD: And I -- you're asking
11 that question reminds me that I -- that I did not ask that
12 Exhibit 96 be admitted as a full exhibit.

13 CHAIRMAN KATZ: Well, I thought we'd do
14 those collectively --

15 MR. FITZGERALD: Okay, fine.

16 CHAIRMAN KATZ: -- because I think Dr.
17 Bailey had other things in here.

18 MR. FITZGERALD: Yes, yes. And there are
19 other witnesses that do to. Well, maybe I ought to run
20 through all of Dr. Bailey's exhibits then, and then we'll
21 come back --

22 CHAIRMAN KATZ: Okay, why don't we do that
23 --

24 MR. FITZGERALD: -- then we'll come back

HEARING RE: CL&P and UI
JULY 27, 2004

1 and start again at the top with the next -- Dr. Bailey, I
2 think the next thing that we have for you is on page 19,
3 and -- and hopefully, everybody can follow this -- there's
4 a small "a" on the top of the page and then there's a
5 small "a" under No. 124. Those -- those two exhibits are
6 actually the same thing, okay. This is a document
7 entitled Exhibit 2 that is referenced in Dr. Bailey's
8 supplemental testimony of July 19th, but was not prepared
9 in time to be filed on July 19th, it was filed on July 23rd.
10 And in addition, I believe, Dr. Bailey, that you have a
11 correction to that exhibit and have -- and that we have
12 with us today copies of the corrected exhibit, is that
13 right?

14 DR. BAILEY: Yes.

15 MR. FITZGERALD: Would -- would you please
16 identify -- well, actually first why don't we pass out the
17 corrected exhibit and then you can identify the
18 correction. And this will be served -- has this already
19 been served --

20 A VOICE: No --

21 MR. FITZGERALD: -- or it will be served
22 today -- okay. And we have -- we have copies for people
23 in the audience who want one.

24 CHAIRMAN KATZ: We'll go off the record for

HEARING RE: CL&P and UI
JULY 27, 2004

1 a moment while we pass that out.

2 (Off the record)

3 MR. FITZGERALD: Now, Dr. Bailey, first of
4 all, would you please identify what changes have been made
5 in this document, which I'm going to call revised Exhibit
6 124-A, as compared with the document that has previously
7 been marked 124-A?

8 DR. BAILEY: Certainly. The changes occur
9 in two columns. First, the Low Field Option A column.
10 And in the first two rows of the table, the values were
11 previously under -- for facility R-11 4.3 milligauss and
12 R-70 4.3 milligauss. The wrong values were pulled from
13 the file in making up this table. And those values under
14 peak load should be 18.5 milligauss for low option --
15 Field Option A at R-11 and 18.5 milligauss for Low Field
16 Option A Peak Loading at R-70.

17 The same kind of error is found on those
18 same two rows under Low Field Option C under Peak Loading,
19 the values for R-11 and R-70 previously were both 18.5
20 milligauss, and they have been corrected in the updated
21 exhibit to 23.1 milligauss at each facility.

22 MR. FITZGERALD: Alright. Now, Dr. Bailey,
23 so we can identify which -- what you're sponsoring in this
24 exhibit, is it the case that the locations and the

HEARING RE: CL&P and UI
JULY 27, 2004

1 categorization of the locations that appear on the left-
2 hand side of the page were provided to you by the
3 companies?

4 DR. BAILEY: That's correct.

5 MR. FITZGERALD: And then you -- you took
6 that information and then applied the loading information
7 and conductor positioning information that you previously
8 had obtained from the companies and used in preparing
9 earlier exhibits, and you used that information to
10 calculate the magnetic field values that are displayed on
11 the page?

12 DR. BAILEY: Yes, we did.

13 MR. FITZGERALD: Now, let me go to you,
14 Miss Bartosewicz, and ask you whether the listing of the
15 statutory facilities was developed by the companies using
16 the GIS information, using lists of the licensed
17 facilities that were obtained from the State, using in
18 some instances drive-bys, and with respect to the
19 residential area designations in the absence of more
20 specific guidance from the Council for which there's no
21 opportunity yet, using the rule of thumb definition that
22 you described during your presentation?

23 MS. BARTOSEWICZ: That's correct.

24 MR. FITZGERALD: And is the information on

HEARING RE: CL&P and UI
JULY 27, 2004

1 this exhibit, Dr. Bailey and Miss Bartosewicz, accurate as
2 representing what it purports to represent to the best of
3 your knowledge and belief?

4 MS. BARTOSEWICZ: Yes, it does.

5 MR. FITZGERALD: Dr. Bailey?

6 DR. BAILEY: We also have --

7 MR. FITZGERALD: Well, no, no -- we're just

8 --

9 DR. BAILEY: Yes --

10 MR. FITZGERALD: Before we get to the next
11 exhibit --

12 DR. BAILEY: Sure.

13 MR. FITZGERALD: Okay. That's -- that's
14 Exhibit 2. Alright -- Exhibit 2 to your testimony.
15 Alright, now we'll go back to the Bailey testimony and
16 Exhibit 1 to the Bailey testimony --

17 CHAIRMAN KATZ: Mr. Fitzgerald, I'm going
18 to ask you to refer to the numbers --

19 MR. FITZGERALD: Yes --

20 CHAIRMAN KATZ: -- on the hearing program.

21 MR. FITZGERALD: Thank you. Let me return
22 now to what has been marked as Exhibit 124, the
23 Supplemental Testimony of Dr. Bailey. Apart from Exhibit
24 2, which we've just discussed, do you have any corrections

HEARING RE: CL&P and UI
JULY 27, 2004

1 to make to that testimony or to the other exhibit to it?

2 DR. BAILEY: Yes, I do.

3 MR. FITZGERALD: And what is that?

4 DR. BAILEY: On turning to page 5 of the
5 testimony, about three-quarters down the page, the
6 response reads yes in Cross-Section 2, in parentheses,
7 (Design Options 2 and 3), and 7-B (Design Option 1) in
8 parentheses --

9 MR. FITZGERALD: Yes --

10 DR. BAILEY: -- that should read Design
11 Options, plural, 1 and 2.

12 MR. FITZGERALD: Okay. We will file an
13 errata sheet in due course for that. Did you have --

14 DR. BAILEY: I -- I also have another --

15 MR. FITZGERALD: Oh, okay --

16 DR. BAILEY: -- correction. On page 9 of
17 Exhibit 1, that's the Cross-Section 5 15-gigawatt case, at
18 the top there is a heading on the table on the right-hand
19 side that gives distances, it's in error. The distances
20 given are in 10-foot intervals and they should be in 15-
21 foot intervals starting at 15 feet from the edge of the
22 right-of-way and going out to 150 feet from the edge of
23 the right-of-way as it is on the left-hand side of the
24 page.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. FITZGERALD: And it's that way in all
2 the other pages of the exhibit too, isn't it --

3 DR. BAILEY: That's correct --

4 MR. FITZGERALD: -- 15-foot intervals.
5 Somehow this one got labeled with 10-foot intervals.
6 Alright. Well, we will submit an errata sheet for that as
7 well. Are you keeping track of these --

8 A VOICE: Yes.

9 MR. FITZGERALD: Okay. Dr. Bailey, with
10 those corrections, is exhibit -- do you adopt Exhibit 124
11 as your testimony and aver that it is true and correct to
12 the best of your knowledge and belief?

13 DR. BAILEY: Yes, I do.

14 MR. FITZGERALD: That, I believe, is all
15 that we have from Dr. Bailey.

16 CHAIRMAN KATZ: Why don't I ask at this
17 point if there are any objections to making those full
18 exhibits? Seeing none, we will take Dr. Bailey's things
19 as full exhibits.

20 (Whereupon, Applicants' Exhibit No. 96 and
21 No. 124 were received into evidence as full exhibits.)

22 CHAIRMAN KATZ: And his presentation this
23 morning, when are we getting a hard copy of that?

24 MR. FITZGERALD: We don't -- we hope to

HEARING RE: CL&P and UI
JULY 27, 2004

1 have it reproduced before the end of the day.

2 CHAIRMAN KATZ: Okay. So --

3 MR. FITZGERALD: Both -- both that and to
4 have CD's of the video presentation.

5 CHAIRMAN KATZ: Okay. And then we'll
6 verify that when it comes in?

7 MR. FITZGERALD: I think that would
8 probably be --

9 CHAIRMAN KATZ: Okay --

10 MR. FITZGERALD: -- the better way.

11 CHAIRMAN KATZ: Okay.

12 MR. PHILIP T. ASHTON: Mr. Fitzgerald,
13 forgive me, I got lost on the last correction that Mr. --
14 that Dr. Bailey gave, and that's the chart, Exhibit 1.
15 And I apologize.

16 MR. FITZGERALD: It's page -- go to page 9
17 of 26 --

18 MR. ASHTON: That's the first chart behind
19 it?

20 MR. FITZGERALD: Yes.

21 A VOICE: This one --

22 MR. FITZGERALD: Well, it's -- yeah, right.
23 And if you -- page 9 of 26 should be captioned Cross-
24 Section 5, typical segment --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. ASHTON: I have Cross-Section 1.
2 Cross-Section 5?

3 MR. FITZGERALD: Yeah.

4 MR. ASHTON: Okay, I'll go to the back of
5 that --

6 MR. FITZGERALD: Page 9 of 26.

7 DR. BAILEY: It should like this.

8 CHAIRMAN KATZ: You're looking at --

9 MR. ASHTON: Cross-Section 5 -- I'm sorry -
10 - oh, yeah, I see the 10, 20, 30, 40, 50, they should be
11 corrected to 15-foot intervals?

12 MR. FITZGERALD: Right.

13 DR. BAILEY: Yes.

14 MR. ASHTON: So 15, 30, 45, etcetera?

15 DR. BAILEY: Yes.

16 MR. ASHTON: Thank you. I missed -- when
17 you said -- I found typed numbered page 8 and then I got
18 lost.

19 MR. FITZGERALD: Now, I think we go back at
20 this point to page 18 and the next shaded exhibit is 114.
21 However, I believe if you check with the transcript, we
22 will find that Exhibit 114 was admitted as a full exhibit
23 on June 17th, page 242 of the transcript, sponsored by Mr.
24 Walling, and that at the time there was only one copy

HEARING RE: CL&P and UI
JULY 27, 2004

1 available, but it has since been filed and served in the
2 normal course.

3 CHAIRMAN KATZ: We will note that subject
4 to check.

5 MR. FITZGERALD: Now, let's start with Mr.
6 Zaklukiewicz. Exhibit -- Exhibit 115, the
7 Middletown/Norwalk Project Steering Committee Process,
8 that is a memorandum describing the -- what is come --
9 since come to be known as the Reliability and Operating
10 Committee, or the ROC group, and -- exhibit. So, I'd just
11 like you to note that, Mr. Zak, and keep it in mind.

12 We'll move on now, Exhibits 116 and 117 are
13 interrogatory responses.

14 Exhibits 118 and 119 are reports prepared
15 for the so-called ROC group by GE. And with respect to
16 those reports, Mr. Zak, I will be asking you to verify
17 simply that they are reports that you have received and
18 understand from GE to be correct and that they've been
19 distributed as part of the work of the ROC group.

20 Exhibit 120 is another set of interrogatory
21 responses.

22 I'm going to skip 121. Exhibit 122 is the
23 first biweekly report of the ROC group.

24 Exhibit 123 is your testimony concerning

HEARING RE: CL&P and UI
JULY 27, 2004

1 potential use of HVDC, dated July 19th, with attached
2 exhibit. Please note that that Sub A underneath 123 on
3 the program should not be there.

4 Moving now to Exhibit 125, the Thermal and
5 Voltage Analysis of Case 6, that was prepared for the ROC
6 group.

7 And now I'm going to skip to Exhibit 131,
8 Addendum No. 4 to the supplemental filing, which is a load
9 flow study relating to the East Shore Alternative.

10 Mr. Zaklukiewicz, are all of those exhibits
11 true and correct to the best of your knowledge and do you
12 adopt them as your testimony?

13 MR. ROGER ZAKLUKIEWICZ: Yes, I do.

14 MR. FITZGERALD: I offer them as full
15 exhibits.

16 CHAIRMAN KATZ: Any objection to making
17 them full exhibits? Hearing none, they're full exhibits.

18 (Whereupon, Applicants' Exhibits Nos. 115,
19 116, 117, 118, 119, 120, 122, 123, 125 and 131 were
20 received into evidence as full exhibits.)

21 MR. FITZGERALD: Alright. Now, going back
22 again to the top, I have some exhibits to be sponsored by
23 Miss Bartosewicz. The top at this point is Exhibit 121, a
24 letter to the Honorable Maryann Boord regarding

HEARING RE: CL&P and UI
JULY 27, 2004

1 constructability of routes in Durham.

2 The next would be Exhibit 127, which is a
3 letter from Brian Henebry regarding CL&P's or the
4 Applicants' preferred routes. It's kind of a borderline
5 thing, but there is some factual matter in there, so I'm
6 going to ask Miss Bartosewicz to adopt that as her
7 testimony.

8 And then the next item would be 130, the
9 wetland map and cover letter for the project, Sections 1
10 and 2, that responded to a homework assignment.

11 And the -- let me -- let me just ask the
12 witness a couple of questions about the final item, which
13 is the map satisfying the requirement of the amended
14 statute. That map was prepared on the same basis as the
15 facilities that were listed in Dr. Bailey's Exhibit 2,
16 correct? In other words, you used the GIS to identify
17 residential areas? And for the licensed facilities you
18 used State -- lists obtained from the State of the
19 relevant licensed facilities?

20 MS. BARTOSEWICZ: That's correct.

21 MR. FITZGERALD: Alright. And -- and then
22 some drive-bys and whatever other pertinent information
23 you could gather --

24 MS. BARTOSEWICZ: Yes --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. FITZGERALD: -- is that right?

2 MS. BARTOSEWICZ: -- that's correct.

3 MR. FITZGERALD: And -- so that's a -- does
4 that represent a best efforts product?

5 MS. BARTOSEWICZ: Yes, it does.

6 MR. FITZGERALD: Okay. Now with those
7 qualifications, would you adopt the exhibits we have just
8 identified as being true and correct to the best of your
9 knowledge and sponsor them as your testimony?

10 MS. BARTOSEWICZ: Yes, I do.

11 MR. FITZGERALD: I offer them as full
12 exhibits.

13 CHAIRMAN KATZ: Any objection to making
14 them full exhibits? Hearing none, we'll make them full
15 exhibits.

16 (Whereupon, Applicants' Exhibits Nos. 121,
17 127, 130 and 132 were received into evidence as full
18 exhibits.)

19 MR. FITZGERALD: Now, the only remaining
20 items on the list, I believe, are briefs. 126, it's our
21 brief concerning the municipality notice issues.

22 128 -- I'm sorry -- no, 128 has been -- yes
23 -- no, 128, which is a response -- although it's an
24 interrogatory response, it's a legal position that

HEARING RE: CL&P and UI
JULY 27, 2004

1 concerns our position with respect to the intent of the
2 buffer zone determination and how you should go about
3 establishing buffer zones.

4 129 is our brief on the remaining
5 provisions of Public Act 04-246, apart from the buffer
6 zone provision.

7 And I would submit that while we list it as
8 exhibits, it would be inappropriate to --

9 CHAIRMAN KATZ: We will remove them from
10 the exhibit list, indicating that 126, 128 and 129 are
11 briefs. And while 126 is called a brief, some of the
12 other ones are called responses and comments. And I ask
13 the Applicants and all parties and intervenors to use the
14 word brief in the title so that these things don't --

15 MR. FITZGERALD: Okay --

16 CHAIRMAN KATZ: -- are not confused.

17 MR. FITZGERALD: Good suggestion, okay.
18 That's all that I have.

19 CHAIRMAN KATZ: Okay. I believe we've
20 covered the hearing program.

21 I have a request. In this morning's audio
22 visual presentation, the Applicant made certain
23 assumptions on what things were in the statutory buffer
24 zone and what were not. I'd like to have that in writing.

HEARING RE: CL&P and UI
JULY 27, 2004

1 It's part of the presentation that we'll be getting later,
2 hard copies of?

3 MR. FITZGERALD: Well, that -- that is in
4 Exhibit 2 to Dr. Bailey's testimony --

5 CHAIRMAN KATZ: Okay --

6 MR. FITZGERALD: -- that was just passed
7 out --

8 CHAIRMAN KATZ: Okay --

9 MR. FITZGERALD: -- there's a list.

10 CHAIRMAN KATZ: There's a list -- no, I'm
11 saying -- for example, the testimony during the audio
12 visual was that certain residential areas had to be of a
13 certain size --

14 MR. FITZGERALD: Oh --

15 CHAIRMAN KATZ: -- to be included --

16 MR. FITZGERALD: Oh, oh --

17 CHAIRMAN KATZ: -- and single residential
18 areas were not included --

19 MR. FITZGERALD: Correct --

20 CHAIRMAN KATZ: -- that type of thing I'd
21 like -- if that's in writing somewhere, because we're
22 going to want to ask questions about that.

23 MR. FITZGERALD: Yes, it is in writing in
24 the July 26, 2004 cover letter that accompanied the maps.

HEARING RE: CL&P and UI
JULY 27, 2004

1 And it should be, I believe, included as part of Exhibit
2 132.

3 CHAIRMAN KATZ: 132. Fine, thank you.
4 Also in this morning's audio visual presentation certain
5 options were discussed, again a balancing act between
6 perhaps higher towers and less EMF or shorter towers and a
7 little more EMF. Again, I ask the Towns to -- if they
8 have a preference for a certain option under EMF
9 mitigation in that balancing act, to please also indicate
10 that to the Council. That would be helpful.

11 MR. FITZGERALD: And just for the Council's
12 information, the cover letter submitting the earlier
13 exhibit -- I think it would have been 96 -- from which
14 that information was drawn that was used in the
15 presentation, contains the information that I believe two
16 towns specified structures that they wanted used --

17 CHAIRMAN KATZ: Yes --

18 MR. FITZGERALD: -- or configurations that
19 they wanted used for this purpose, in those cases that's
20 what was put in the exhibit. In the other cases where the
21 Towns did not specify anything, the Applicants made a
22 choice themselves of what looked like the optimal two
23 potential options.

24 CHAIRMAN KATZ: Right, thank you. But I

HEARING RE: CL&P and UI
JULY 27, 2004

1 just want to give the Towns another chance having seen
2 this presentation this morning to weigh in.

3 And just one other clarification before we
4 get to cross-examination. Is the jog around Royal Oaks
5 now a company supported change, and -- because you
6 mentioned it as part of your presentation this morning?

7 MS. BARTOSEWICZ: I think we mentioned it
8 as part of the presentation this morning in an effort to
9 show other alternatives because that was one that we
10 responded to the Town of Durham on. So it was in there so
11 you could see the difference between what moving the 345
12 around the neighborhood and leaving the 115 on the right-
13 of-way would do.

14 MR. FITZGERALD: But the question is -- the
15 question is, is this something that the company is
16 sponsoring or proposing at this point?

17 MS. BARTOSEWICZ: Certainly -- yes.

18 CHAIRMAN KATZ: Okay --

19 MR. FITZGERALD: Wait --

20 MS. BARTOSEWICZ: Yes.

21 CHAIRMAN KATZ: So --

22 MR. FITZGERALD: Wait a minute --

23 CHAIRMAN KATZ: Do you want a moment off
24 the record?

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. FITZGERALD: Yeah, could we.

2 CHAIRMAN KATZ: Off the record.

3 (Off the record.

4 CHAIRMAN KATZ: Are you ready to go back on
5 the record? Yes. Okay, my question was -- when we were
6 doing especially Segments 3 and 4, we were talking about
7 supported changes. And the company sort of endorsed well
8 this is now a supported change. So the question comes
9 back to the jog around Royal Oaks, is this now a company
10 supported change?

11 MS. BARTOSEWICZ: If the Town would like
12 it, we would support it.

13 CHAIRMAN KATZ: Okay. Understood. Okay,
14 at this point, I think we're ready for cross-examination
15 of the panel. Is there anything else we need to cover?

16 First on the list is Representative
17 Adinolfi, but according to my notes, he's indicated that
18 he would like to cross on Wednesday afternoon and on
19 Thursday. Is that still true, Representative?

20 REPRESENTATIVE AL ADINOLFI:

21 (Indiscernible) --

22 CHAIRMAN KATZ: Mr. -- Representative,
23 we're going to need you to come to a mic unless you're
24 going to say more than yes or no. (Pause).

HEARING RE: CL&P and UI
JULY 27, 2004

1 Representative, you know, you can cross --

2 REPRESENTATIVE ADINOLFI: I would -- based
3 on what I heard this morning, I did come up with a few
4 questions I would like to ask.

5 CHAIRMAN KATZ: Okay. Could you have a
6 seat and we'll start with you. And then, Mr. Knapp,
7 you're going to follow Representative Adinolfi.

8 REPRESENTATIVE ADINOLFI: Is this on?
9 Yeah.

10 MR. FITZGERALD: Madam -- Madam Chairman.

11 CHAIRMAN KATZ: Yes.

12 MR. FITZGERALD: Just in case there are
13 other requests of this nature, Dr. Bailey will be here
14 through 3:00 o'clock tomorrow.

15 CHAIRMAN KATZ: Okay.

16 MR. FITZGERALD: This is -- we'd planned on
17 today as being the EMF day --

18 CHAIRMAN KATZ: Right. We will keep that
19 in mind, thank you.

20 REPRESENTATIVE ADINOLFI: My questions will
21 be specific to the previous presentation.

22 CHAIRMAN KATZ: Okay.

23 REPRESENTATIVE ADINOLFI: Do we have any
24 background on the reliability for split-phase? Can

HEARING RE: CL&P and UI
JULY 27, 2004

1 anybody answer that?

2 MR. FITZGERALD: Well, could I just ask
3 what he means by -- you mean the --

4 REPRESENTATIVE ADINOLFI: Well, where's it
5 being used --

6 MR. FITZGERALD: -- does it work
7 electrically or --

8 REPRESENTATIVE ADINOLFI: -- what's the
9 history? How reliable is it compared to --

10 CHAIRMAN KATZ: Has it been used in
11 Connecticut? Has it been used elsewhere? And where it's
12 been, how reliable has it been to achieving the goals set
13 out? How does that sound for --

14 MR. FITZGERALD: Very good, thank you.

15 DR. JOHNSON: As far as its being used --

16 CHAIRMAN KATZ: Since -- since you're new,
17 we're going to ask you to sort of start off with your name
18 this morning, okay.

19 DR. JOHNSON: Dr. Gary Johnson with
20 Exponent.

21 With regards to the optimized split-phase,
22 it has been used and has been in use we have found by a
23 utility in New York State. And as far as its reliability,
24 it would be very similar in performance to, essentially, a

HEARING RE: CL&P and UI
JULY 27, 2004

1 double-circuit line. It's basically configured as a six-
2 wire system, very similar to what we would call a double-
3 circuit line with three wires on one side, three wires on
4 the other. And it has been in use, as I said, in the
5 State of New York for one segment. The line in there at
6 115-kV I believe.

7 CHAIRMAN KATZ: Did the reality meet the
8 calculations for reduction in EMFs?

9 DR. JOHNSON: Yes, very good. The split-
10 phased line does show a reduction in the EMF levels and
11 matches the calculated levels quite well.

12 REPRESENTATIVE ADINOLFI: Alright. Does
13 the -- is the split-phase still considered 345-kV?

14 MR. ZAKLUKIEWICZ: Yes.

15 REPRESENTATIVE ADINOLFI: Thank you. My
16 next question is -- I'm going to ask a question I asked
17 three months ago, why are we discussing mitigating factors
18 in evidence when we haven't presented any reason why
19 undergrounding will not work, it is not feasible? We're
20 putting the cart before the horse again. And I think the
21 legislation was clear on that.

22 CHAIRMAN KATZ: Well, I -- I'm going to
23 just say something, Representative. They're here
24 answering these questions because we're making them answer

HEARING RE: CL&P and UI
JULY 27, 2004

1 these questions at this time. We will be taking up
2 undergrounding Thursday on the DC basis. And we're also
3 going to be taking up undergrounding when KEMA, our
4 consultant, completes their work. But, you know, we've
5 asked them to answer these questions if part of it still
6 remains overhead, and I -- frankly, I can't fault them for
7 presenting this information at this time because they're
8 here because we told them to be here.

9 REPRESENTATIVE ADINOLFI: Thank you. Why
10 are we using average loads and not maximum loads of worse
11 conditions? With my background in engineering, we always
12 used maximum loads for any calculations we did, always
13 worst case analysis, not average or best.

14 MR. ZAKLUKIEWICZ: The 15 gigawatt case
15 basically, as testified to at previous meetings, was the -
16 - basically the loading at which at any given time 50
17 percent of the flows on the lines will be less than the
18 15-gigawatt case. And approximately 50 percent of the
19 hours in a given year, those numbers will be higher than
20 the 15-gigawatt case. I think we also stated that in the
21 extreme max conditions, we're talking hours a year
22 basically during the peak load periods on a given
23 extremely hot summer day, which would be a three or four
24 or five-hour period, could possibly reoccur during a

HEARING RE: CL&P and UI
JULY 27, 2004

1 prolonged heat spell. But the 15-gigawatt case represents
2 -- is representative of what would be experienced on --
3 directly beneath the line at the edge of the right-of-way
4 or at some location away from the transmission line.

5 REPRESENTATIVE ADINOLFI: Thank you. Let
6 me re-ask that question then, can we get numbers for the
7 EMF levels and the worst case?

8 CHAIRMAN KATZ: That being the 27-gigawatt
9 case.

10 A VOICE: Yeah, but which -- which --

11 DR. BAILEY: Those -- those values have
12 already been provided in the exhibits.

13 CHAIRMAN KATZ: Could you just point the
14 Representative to a certain exhibit that would be helpful
15 to him.

16 A VOICE: Which exhibit --

17 (Pause)

18 DR. BAILEY: If you go to updated Exhibit 2
19 for the statutory facilities, those have values at both
20 the average and peak load, that is the 15-gigawatt and the
21 27.7 gigawatt.

22 CHAIRMAN KATZ: Mr. Fitzgerald, in the
23 hearing program, what number is that?

24 MR. ZAKLUKIEWICZ: That's No. 124.

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: Thank you.

2 MR. FITZGERALD: But there's also --
3 there's also other information --

4 CHAIRMAN KATZ: Okay --

5 MR. FITZGERALD: -- in the record besides
6 that that deals with the -- I believe with the --

7 CHAIRMAN KATZ: With the 27-gigawatt case?

8 MR. FITZGERALD: With the peak -- with the
9 peak loads.

10 CHAIRMAN KATZ: Yeah.

11 MR. FITZGERALD: Exhibit -- Exhibit 1 to
12 Dr. Bailey's testimony, again 124-A, that shows -- that
13 shows by cross-section, edge of right-of-way values by
14 cross-section with proposed and then the two mitigation
15 options. It gives the results for both the 15-gig load
16 and the 27.7 gig peak load. And then for the calculations
17 that go beyond the edge of the right-of-way to the
18 statutory facilities, you look to Exhibit 2 for that
19 information, again both average and peak load information
20 calculations are provided.

21 CHAIRMAN KATZ: Thank you.

22 REPRESENTATIVE ADINOLFI: One other
23 question and then I'm done. On Cook Hill Junction, people
24 getting to their homes have to drive under these wires.

HEARING RE: CL&P and UI
JULY 27, 2004

1 They're going across their driveways and the children play
2 out there and so on. Has anything been done along -- or
3 any plans to either posting this or fencing in these lines
4 so people and children can't inadvertently be exposed to
5 the EMF levels by getting closer than whatever number of
6 feet you come up with as the safety buffer zone?

7 MR. ZAKLUKIEWICZ: Are we speaking about
8 fencing the right-of-way? Because as I understand it now
9 the driveways -- I mean do you want us to fence off
10 driveways --

11 REPRESENTATIVE ADINOLFI: I asked a
12 question --

13 MR. ZAKLUKIEWICZ: -- or access --

14 REPRESENTATIVE ADINOLFI: -- I didn't say -
15 -

16 CHAIRMAN KATZ: One at a time --

17 REPRESENTATIVE ADINOLFI: -- I wanted you
18 to do it.

19 MR. ZAKLUKIEWICZ: If -- if somehow some
20 kind of markings at the end of this right-of-way are
21 appropriate, we would so advise the people who own the
22 properties adjacent to this transmission easement.

23 REPRESENTATIVE ADINOLFI: In other words,
24 if we had posted the property, we would say something like

HEARING RE: CL&P and UI
JULY 27, 2004

1 if you're playing under these wires for more than two
2 hours, you are risking your health?

3 A VOICE: No --

4 CHAIRMAN KATZ: I think we'll go there in
5 the D&M plan, Representative.

6 REPRESENTATIVE ADINOLFI: Okay. I'm done.

7 CHAIRMAN KATZ: Thank you. And -- and we
8 do invite you back Thursday when we're going to be talking
9 about DC and this fall when we're going to be talking more
10 about undergrounding.

11 This is a good point to break. At 1:00
12 o'clock the Council will resume with Attorney Knapp,
13 followed by attorneys for the Towns. And if I'm not back
14 by 1:00, the Vice Chairman will carry on promptly at 1:00
15 o'clock. If I don't come back, then he'll carry on even
16 longer. Okay, so we are adjourned until 1:00 o'clock.

17 (Whereupon, a luncheon recess was taken.)

18 CHAIRMAN KATZ: On the record. Mr.
19 Fitzgerald, I understand we have some administrative
20 things to do?

21 MR. FITZGERALD: Yes, Madam Chairman. We
22 do have -- three of the four exhibits that were promised
23 this morning have been duplicated so far and I would like
24 to offer them. The first two are the resumes of the new

HEARING RE: CL&P and UI
JULY 27, 2004

1 witnesses, Mr. Cretella and Dr. Johnson. And we will hand
2 up the requisite original and 20 copies. We'll also serve
3 a copy by mail today, and there are some extra copies for
4 people in the room who might want them.

5 CHAIRMAN KATZ: Okay. And do you just want
6 to have those witnesses verify those.

7 MR. FITZGERALD: Certainly.

8 CHAIRMAN KATZ: And we'll give them numbers
9 -- Mr. Cunliffe, do we have numbers? Do we have Mr.
10 Cunliffe?

11 MR. FITZGERALD: Yeah, he's at the other
12 end of the table.

13 CHAIRMAN KATZ: Just wait a second.
14 (Pause). Fred, we need numbers?

15 MR. FRED O. CUNLIFFE: 133, Chairman.

16 CHAIRMAN KATZ: Yes. Mr. Cretella is 133
17 and Dr. Johnson is 134, or vice versa?

18 MR. CUNLIFFE: Cretella is 133. Mr.
19 Johnson 134. And do we have a CD video? Is that --

20 CHAIRMAN KATZ: And the CD is --

21 MR. FITZGERALD: The next -- the next item
22 is a CD -- or a D -- I think it's a DVD -- a DVD of the
23 presentation Dr. Bailey made today about split-phasing.
24 And our proposal on how to handle that is as follows. Mr.

HEARING RE: CL&P and UI
JULY 27, 2004

1 Cunliffe has advised that the Council would like four and
2 treat it as a bulk file, we'll give the Council four. We
3 will serve on the service list a notice of filing and that
4 will advise that if any party or intervenor would like a
5 copy, we will mail the CD to them. It can't -- it's too
6 big to be e-mailed, but if they submit an e-mail request,
7 we will mail one to them. We also have some, like 15 or
8 so here today if any of the parties -- if any of the
9 people on the service list are here today and want to get
10 their copy handed to them and be checked off on the
11 service list, Betty -- Miss Betty Hoyt from NU will be
12 here and will have them and will check them off as long as
13 they last.

14 CHAIRMAN KATZ: If we put this on the
15 Siting Council website, is this the type of file that
16 could be downloaded and viewed with appropriate Windows
17 media software?

18 MR. FITZGERALD: If you have a lot of
19 memory.

20 CHAIRMAN KATZ: Oh, never mind.

21 A VOICE: Yeah, it's a video.

22 CHAIRMAN KATZ: Yeah, okay. Okay, is there
23 any objection to the handling of that exhibit? What are
24 we calling -- and the CD we're calling 135?

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. CUNLIFFE: Correct.

2 CHAIRMAN KATZ: Okay --

3 A VOICE: A DVD.

4 CHAIRMAN KATZ: The DVD --

5 MR. CUNLIFFE: The DVD --

6 CHAIRMAN KATZ: -- is 135. Okay, Mr.

7 Fitzgerald, if we could just get those verified.

8 MR. FITZGERALD: Dr. Johnson, do you verify
9 that the curriculum vitae related to you that has been
10 submitted is true and correct?

11 DR. JOHNSON: Yes, I do --

12 AUDIO TECHNICIAN: Grab a mic --

13 COURT REPORTER: Once again please, doctor.

14 DR. JOHNSON: Yes, I do --

15 COURT REPORTER: Once again, doctor.

16 DR. JOHNSON: Yes, I do.

17 AUDIO TECHNICIAN: I apologize.

18 MR. FITZGERALD: Mr. Cretella, do you
19 verify that the curriculum vitae that has been submitted
20 with respect to you is true and correct?

21 MR. CRETELLA: Yes, I do.

22 MR. FITZGERALD: And Dr. Bailey, is the DVD
23 that has been submitted a true copy of the DVD that was
24 played today about which you already testified?

HEARING RE: CL&P and UI
JULY 27, 2004

1 DR. BAILEY: Yes, it is.

2 MR. FITZGERALD: I offer those three
3 exhibits --

4 CHAIRMAN KATZ: Any --

5 MR. FITZGERALD: -- as full exhibits.

6 CHAIRMAN KATZ: Any objection to making
7 them full exhibits? Hearing none, they'll be full
8 exhibits.

9 (Whereupon, Applicants' Exhibits Nos. 133,
10 134 and 135 were received into evidence as full exhibits.)

11 CHAIRMAN KATZ: And I understand by the end
12 of the day we'll get that last one and we'll take care of
13 it at our final procedural --

14 MR. FITZGERALD: We're -- we're hoping.
15 It's a big color -- a lot of color copying. It's
16 underway. We're hopeful we'll have it by the end of the
17 day.

18 CHAIRMAN KATZ: Okay. Okay, any other
19 procedural matters before we continue with cross-
20 examination of the panel?

21 Attorney Knapp, you are next, followed by
22 the Towns. Just out of curiosity, who from the Towns will
23 be starting off, the collective Towns? I see two hands.
24 Are you going to -- is this going to be a dual team?

HEARING RE: CL&P and UI
JULY 27, 2004

1 Okay. For the record?

2 MR. ERIC KNAPP: For the record, Attorney
3 Eric Knapp for the Town of Middlefield. And I was a
4 little confused when you said Attorney Knapp followed by
5 the Towns --

6 CHAIRMAN KATZ: No --

7 MR. KNAPP: -- since I was hoping I was
8 from a town.

9 CHAIRMAN KATZ: Right. No, there's a group
10 of them who call themselves the Towns.

11 MR. KNAPP: Okay, I understand.

12 CHAIRMAN KATZ: But we give your town the
13 status that it's due. Just the next time come in with
14 apple pies.

15 MS. RANDELL: Madam Chairman, we've moved
16 down on the table so that -- we thought it would be --

17 CHAIRMAN KATZ: Okay, we can do that --

18 MS. RANDELL: -- easier for Mr. Knapp to
19 look at the witnesses for cross-examination --

20 CHAIRMAN KATZ: If you're going to be
21 accommodating, we'll --

22 MR. KNAPP: One moment then.

23 CHAIRMAN KATZ: Okay.

24 (Pause)

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. KNAPP: Good afternoon again. Attorney
2 Eric Knapp for the Town of Middlefield. Just three
3 questions being a couple of follow-ups. One -- the first,
4 which is a technical question, and I'm not even sure I'm
5 going to understand the answer, but I figured I would ask,
6 you were showing the three lines and the split-phasing on
7 three lines, what is the magic of three versus some other
8 number? Can you do it with four or six, or some other
9 number? Why are we working just on that? I guess maybe
10 just because that's the way you've always done it. I
11 don't quite understand what the magic of that number is.

12 DR. JOHNSON: Okay. Gary Johnson. Three
13 lines are three phases, one for each phase of the line,
14 it's the typical way the transmission systems are run. If
15 you have the three phases up there for the standard height
16 line, then you're trying to minimize the field, so you're
17 putting basically conductors of the -- of another phase
18 closest to them. That's sort of how the split-phase
19 design works, you're canceling out say Phase A, which was
20 shown in the video, by ending up putting like Phase C --

21 MR. KNAPP: Um-hmm --

22 DR. JOHNSON: -- closest to it. Three
23 phases is the standard way that it's been done. You add
24 conductors, you add height by going to like four lines,

HEARING RE: CL&P and UI
JULY 27, 2004

1 five lines, but you really don't add anything in terms of
2 the phasing or the power transfer. As far as the choice
3 of three phases, that's the most optimal way of
4 transmitting that bulk power. If you do it less than
5 that, you're not getting the -- sort of the best power
6 transfer capability. Perhaps Mr. Zaklukiewicz could go
7 into detail more on exact power transfer and power
8 capabilities, but --

9 CHAIRMAN KATZ: But before he does,
10 Attorney Knapp, would you like that, it's your question?

11 MR. KNAPP: Okay. Before I get there I
12 guess, maybe an elaboration perhaps. On the graphs you
13 were showing with the bell curves and the heights and
14 such, are you saying that you would not get appreciably
15 lower numbers then if you went with more or is that not
16 what you're saying? I don't quite -- I --

17 DR. JOHNSON: Well, for three phase --
18 looking at the three-phase, basically the DVD is what we
19 did. If you went with -- say started with six conductors
20 --

21 MR. KNAPP: Um-hmm.

22 DR. JOHNSON: -- for a standard line,
23 you're moving -- spacing the currents out in space, so it
24 would be similar to the one case that we looked at where

HEARING RE: CL&P and UI
JULY 27, 2004

1 we used six conductors but had them phased ABC on one side
2 of the line, ABC on the other side of the line.

3 MR. KNAPP: Okay, but what I'm asking you
4 is sort of -- if you had ABCDEF on one side and then ABCD
5 -- or vice -- let's flip them around, F through A on the
6 other side, would you be -- any more appreciable benefits
7 of that or is ABC pretty much the max benefit you're going
8 to get?

9 DR. JOHNSON: Okay, what -- what you're
10 describing would be like a six-phase line, adding
11 additional phases, which is something that the regular
12 power system just is not set up for.

13 MR. KNAPP: Okay, I guess that was really
14 my question. Why is three phases the magic number? And
15 you're saying -- (tape stopped) --

16 (Off the record)

17 MR. KNAPP: Do I need to repeat the last
18 question or answer, or are we pretty much okay?

19 CHAIRMAN KATZ: Why don't you go ahead.

20 MR. KNAPP: Okay --

21 A VOICE: (Indiscernible) -- did you lose
22 any --

23 COURT REPORTER: No.

24 MR. KNAPP: Thank you. So, I guess -- I'm

HEARING RE: CL&P and UI
JULY 27, 2004

1 happy with your answer so far because I'm not sure I would
2 understand a more complicated answer to that, so -- or to
3 the question.

4 Turning then to your PA 04-246 analysis,
5 did you study whether there were any of these sort of
6 facilities within the required distance to the jog around
7 the Royal Oaks neighborhood? I noticed you just had this
8 sort of straight line on the map there. If you show that
9 jog around, do the results change at all as far as
10 facilities within the distance to the modified route that
11 you're now proposing?

12 MS. BARTOSEWICZ: I'm assuming you're
13 asking about the Durham bypass?

14 MR. KNAPP: Yes.

15 MR. CRETELLA: To the best of our
16 knowledge, the Royal Oak bypass would not have any
17 statutory facilities for buffer zone determination
18 adjacent to the right-of-way.

19 MR. KNAPP: Okay. So you did, in fact,
20 study north of that relocated route then?

21 MR. CRETELLA: Based on our view of the
22 aerial mapping that was available, again it's a 2002
23 source of information. Field verification has not yet
24 been performed for that section.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. KNAPP: Okay.

2 CHAIRMAN KATZ: If I ask his question
3 slightly modified, you had to find a residential area
4 being at least 2,000 feet along the right-of-way, correct?

5 MS. BARTOSEWICZ: It's actually -- it would
6 be within 300 feet of the edge of the right-of-way for a
7 length along the right-of-way of about 2,000 feet.

8 CHAIRMAN KATZ: Okay. If we took a broader
9 interpretation, let's say -- well, let's keep your 300
10 feet, but let's say it doesn't have to have this minimum
11 length, let's just say it's a residence, if you took that
12 broader interpretation, are there any of the statutory
13 structures in the buffer zone near the jog around Royal
14 Oaks?

15 MS. BARTOSEWICZ: Well, let me -- let me
16 just ask a clarifying question first. So your broader
17 look is is there any residents --

18 CHAIRMAN KATZ: Yes --

19 MS. BARTOSEWICZ: -- when you go around the
20 Royal Oak neighborhood, you're essentially north of it and
21 you're in Middletown, and most of that is field. But as
22 you come and loop back around to get back to the right-of-
23 way, you do pass behind a couple of houses.

24 CHAIRMAN KATZ: Okay. Thank you for that

HEARING RE: CL&P and UI
JULY 27, 2004

1 clarification. Just while I have -- while we're on this
2 thought, how did you come up with 2,000 feet?

3 MS. BARTOSEWICZ: What we were trying to do
4 with lack of any determination, was trying to find what we
5 thought was a cluster of homes that was adjacent to the
6 right-of-way. We thought the 300-foot distance was close.
7 And we were looking for, you know, a cluster of houses.
8 And our aerial maps show you every single house, so that
9 you already knew. And what we were trying to do is do
10 these magnetic field measurements and calculations. And
11 so we were trying to look -- I mean for us to do every
12 single home along the right-of-way would have been
13 extremely time consuming, so we took --

14 CHAIRMAN KATZ: Just off the record.

15 (Off the record)

16 CHAIRMAN KATZ: Okay. Just to follow up, I
17 mean when you look at -- would it be fair to say when you
18 look at the legislation, it doesn't say a cluster of
19 houses, doesn't it just say residences?

20 MS. BARTOSEWICZ: I'm sorry? Doesn't it
21 just say?

22 CHAIRMAN KATZ: It doesn't say a cluster of
23 residences, doesn't it just say residences?

24 MR. FITZGERALD: Could I --

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: Yes --

2 MR. FITZGERALD: -- respond to that?

3 CHAIRMAN KATZ: -- this is -- this is a
4 legal thing and you may speak.

5 MR. FITZGERALD: Yeah, right. We do cover
6 this in our brief. What actually it says is residential
7 area --

8 CHAIRMAN KATZ: Okay --

9 MR. FITZGERALD: -- okay, or -- and -- and
10 in the floor debate -- and so the -- residential, well
11 what does that mean? You know, there's no -- there's no
12 definition in the statute. In the floor debate there are
13 a couple of crumbs of help, which -- which we cite in our
14 brief. And we've given you the whole debate too, but the
15 crumbs are that -- there's a question from one of the
16 legislators to the co-chair of the committee who -- that
17 reported the bill, which is sort of the best you can do in
18 terms of legislative history, and they say what's a
19 residential area, and the response is basically good
20 question, we're going to let the Siting Council --

21 CHAIRMAN KATZ: Okay --

22 MR. FITZGERALD: -- decide that. And he
23 says, you know, you can look at it one way and you could
24 get -- you could have a farm, and just because there's a

HEARING RE: CL&P and UI
JULY 27, 2004

1 house on the farm, you could say that's a residential
2 area, but that's not what we mean, but he doesn't -- he
3 doesn't really come out and say what they do mean --

4 CHAIRMAN KATZ: Okay --

5 MR. FITZGERALD: -- and then there's
6 another exchange in which the expression is used we're
7 talking about subdivision type developments or something -
8 - or something along those lines. Then you have the
9 repeated statements and other context, and what they're
10 looking to do is to look at places where there are
11 aggregations of children.

12 So from that, we said what we should be
13 looking for, all of it subject to the Siting Council, you
14 know, ultimately determining what definition they're going
15 to use, but we've got to start somewhere, and so we said
16 let's come up with a way, a quantitative way that will
17 serve to identify these sort of subdivision type
18 developments. And it was from there that the -- that this
19 rule of thumb of the 2,000 feet --

20 CHAIRMAN KATZ: Okay --

21 MR. FITZGERALD: -- and 300 feet came up.
22 And then -- and then they tried it out and said well let's
23 see, you know, everybody has in their head, you know,
24 Royal Oak. I mean Royal Oak has got to be -- does it work

HEARING RE: CL&P and UI
JULY 27, 2004

1 for Royal Oak, yeah. Does it work for this, does it work
2 for that, and they went from there. Now, of course, all
3 the houses that existed at the time of the aerial
4 photography are on the map --

5 CHAIRMAN KATZ: Right --

6 MR. FITZGERALD: -- but in terms of
7 designating here's where we think there's a statutory
8 residential area, that's how we got it.

9 CHAIRMAN KATZ: Well, we'd appreciate it in
10 the post-hearing briefs to have all parties and
11 intervenors weigh in on what is a good definition of
12 residential areas as regard to buffer zones in this
13 docket. Mr. Emerick.

14 MR. BRIAN EMERICK: Yeah, a question in
15 terms of split-phasing. If in fact there is a commitment
16 or the Council decides that an area because of the
17 presence of a statutory structure, residential area,
18 whatever, that split-phasing, or optimized split-phasing
19 is appropriate, once you make that threshold decision and
20 we take Chestnut to Beseck, and let's say there's one of
21 those facilities along that area and you want to apply
22 that mitigation technique, doesn't that, essentially, say
23 you're going to do split-phasing for that whole segment?

24 MR. FITZGERALD: Well, it certainly says

HEARING RE: CL&P and UI
JULY 27, 2004

1 you're going to do it for more than that facility, sure.
2 I mean there's -- there could -- it could be that there is
3 a --

4 A VOICE: (Indiscernible) --

5 CHAIRMAN KATZ: You're --

6 MR. FITZGERALD: I'm sorry, that's right --
7 that's right --

8 CHAIRMAN KATZ: I was --

9 MR. FITZGERALD: -- that's right --

10 MR. EMERICK: I was looking --

11 MR. FITZGERALD: -- you're beyond --

12 CHAIRMAN KATZ: I was going to --

13 MR. FITZGERALD: -- you're beyond the legal
14 questions and let me -- let me shut-up --

15 MS. BARTOSEWICZ: No, but --

16 CHAIRMAN KATZ: Mr. Fitzgerald, while I
17 admire your knowledge of this docket, I was going to ask
18 one of these people to answer that question.

19 MR. FITZGERALD: Thank you.

20 MS. BARTOSEWICZ: No, but, Mr. Emerick, you
21 can -- you can -- you can do split-phasing where you'd
22 like to. Essentially, you can start with structures that
23 are just three-phase structures and choose to go into a
24 split-phase and you could -- and you transition into it.

HEARING RE: CL&P and UI
JULY 27, 2004

1 And you can do it for as long as you'd like, and you can
2 transition back out of it. So you can -- you can choose
3 to do a short length or a much longer length, but there is
4 a transition to get to -- from a regular three-phase
5 situation to the split-phase.

6 MR. EMERICK: Just -- and I'm trying to
7 recall. I think in the past we were talking a couple
8 thousand feet and I wasn't -- I thought we had before
9 where we talked about it might need several structures to
10 do it. But then in the demonstration video we had this
11 morning to accomplish that, they had to stick this into a
12 box. And I guess my question is I was never prior to that
13 thinking that this had to go into a box, so --

14 MS. BARTOSEWICZ: It doesn't --

15 MR. EMERICK: -- this can be just done on
16 structures without going into --

17 MR. ZAKLUKIEWICZ: It -- it doesn't have to
18 go into a box, Mr. Emerick. What you would do is you
19 would convert from say a vertical construction or an H-
20 frame construction to a vertical construction, and then
21 possibly from that point go to a split-phase. In most
22 cases if you want to get around an area, consider -- you
23 need one or two structures beyond the area where you're
24 going to have to split-phase to make the conversion. And

HEARING RE: CL&P and UI
JULY 27, 2004

1 it is extremely difficult where you have a sharp angle to
2 make it at that point also. So if you've got a 2,000 foot
3 section that you want split-phasing in, consider the 2,000
4 foot or possibly two more structures on each side of that
5 2,000 foot section to make the transition.

6 CHAIRMAN KATZ: But --

7 MR. EMERICK: But --

8 CHAIRMAN KATZ: -- let's just take one of
9 the sections --

10 MR. EMERICK: Yeah --

11 CHAIRMAN KATZ: -- like I think it was
12 Pease to Glenville, or one of those sections, you can
13 modify the split-phase back and forth within that section,
14 right, from one side to another side?

15 MR. FITZGERALD: Excuse me, do you mean one
16 side of the right-of-way?

17 CHAIRMAN KATZ: Yes. Because you gave
18 options where this option does well on this side of the
19 right-of-way, but it doesn't do as well on that side, and
20 that option does better on that side of the right-of-way
21 than this side. Can you go down -- you know, like for
22 example you gave us an example of a seven-mile stretch --
23 can you do something for awhile and then switch it and do
24 something else, or does the whole seven-mile stretch have

HEARING RE: CL&P and UI
JULY 27, 2004

1 to be one type of split-phasing?

2 MR. ZAKLUKIEWICZ: I -- I think it would be
3 more difficult to turn around and where the existing
4 right-of-way has 115,000 volts transmission on it already,
5 say if that was -- if that 115-kV is on the south side of
6 the right-of-way and you're going east/west, basically if
7 the 345 was going to be put on the north side, you would
8 have difficulty then moving the 345 and the 115 if it was
9 a combination monopole or some other, from north to south,
10 to north to south along a right of way that goes
11 east/west.

12 CHAIRMAN KATZ: Okay, so those transition
13 points -- those cross-section points you gave us this
14 morning in your presentation are the transition points?

15 MS. BARTOSEWICZ: Hold on -- I think,
16 Chairman Katz, your question was could you change your
17 split-phase options as you move down the right-of-way?

18 CHAIRMAN KATZ: Yes.

19 MS. BARTOSEWICZ: And so that if you've got
20 a long enough section -- and I think the one we pointed
21 out this morning -- the west and the east side areas were
22 far enough away. If they're far enough away that allows
23 you to transition from one set of structures to the other,
24 you could engineer it.

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: Okay. But you need a
2 little bit of distance --

3 MS. BARTOSEWICZ: You need distance --

4 CHAIRMAN KATZ: Okay --

5 MS. BARTOSEWICZ: -- like Mr. Zaklukiewicz
6 had said, that you need those structures on either side to
7 do the transition.

8 CHAIRMAN KATZ: Okay.

9 MR. EMERICK: Madam --

10 CHAIRMAN KATZ: Yeah, Mr. Emerick.

11 MR. EMERICK: Just to follow up. If I were
12 in the field -- I mean, obviously, we have three phases,
13 if we look at only one of the phases, we now want to have
14 it in two wires, I mean is it a splice, some kind of a
15 joint that's done in the field so if I'm looking a tower
16 somewhere, I'm going to see one wire on one side and
17 perhaps on the other side I'm going to see two?

18 MR. ZAKLUKIEWICZ: That -- that is correct.
19 It would be -- it would be at an insulator location where
20 we would turn around on the yoke that makes up the
21 connections, we would -- instead of coming across with
22 only one wire, we would actually have a junction point
23 there where you would end up coming across with two wires
24 for each of the phases.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. EMERICK: Okay, thank you.

2 CHAIRMAN KATZ: Okay, back to --

3 MR. ASHTON: Mr. -- Mr. Zak, just a follow-
4 up question. Don't you -- the systems in Connecticut
5 contain a number of transition points already where the
6 phases are rolled for balancing purposes and not for what
7 we're calling split-phasing here?

8 MR. ZAKLUKIEWICZ: That is correct,
9 especially on the high voltage systems, meaning the 345-kV
10 system, we roll -- and you roll -- also when you're going
11 sometime between an H-frame and a vertical, you end up
12 rolling again in those combinations depending on the
13 circumstances of the transmission line.

14 MR. ASHTON: And that's, essentially, the
15 same type of process that we're talking about here, isn't
16 it?

17 MR. ZAKLUKIEWICZ: Not much different --

18 MR. ASHTON: Thank you --

19 MR. ZAKLUKIEWICZ: -- than what we've
20 already -- what we typically have used on the transmission
21 system over a number of years.

22 MR. ASHTON: Thank you.

23 CHAIRMAN KATZ: Back to you, Mr. Knapp.

24 MR. KNAPP: Thank you. Actually, just one,

HEARING RE: CL&P and UI
JULY 27, 2004

1 hopefully, really short question that I think I already
2 know the answer. I noticed in the maps that I received
3 yesterday in the CD there's nothing shown for the
4 northerly route, an alternative as far as PA 04-246. Has
5 that been studied at all by the Applicant?

6 MS. BARTOSEWICZ: PA 04-246 actually
7 requires you to provide these -- this information on the
8 proposed route. However, for information and to help the
9 Council, we also provided this information on other routes
10 that the Council had been discussing here. And I believe
11 the northerly route -- and we can -- subject to check,
12 should have been on those maps.

13 MR. KNAPP: I mean I saw the large purple
14 band there, but I didn't see anything next to it on either
15 side. Is that just because there happened to be nothing
16 next to it?

17 MS. BARTOSEWICZ: That's -- that's a fair
18 statement.

19 MR. KNAPP: I have no further questions.

20 CHAIRMAN KATZ: Thank you. And Mr. Knapp,
21 please thank the First Selectman of Middlefield for
22 getting together with the neighboring towns and providing
23 us detailed comments.

24 MR. KNAPP: I was expecting him to be here,

HEARING RE: CL&P and UI
JULY 27, 2004

1 but I will certainly do that.

2 CHAIRMAN KATZ: Well, we appreciate that
3 input. Okay, next on the list is Attorneys Frank and
4 Kohler. We -- could we get two chairs up there.

5 (Pause)

6 MR. FRANK: For the record, Monte Frank for
7 the Town of Woodbridge.

8 MS. JULIE DONALDSON KOHLER: And Julie
9 Donaldson Kohler for the City of Milford.

10 CHAIRMAN KATZ: Can we throw Weston in
11 there or is that separate?

12 MR. FRANK: I'm asking questions now for
13 the Town of Woodbridge --

14 CHAIRMAN KATZ: Okay --

15 MR. FRANK: -- on EMF issues.

16 CHAIRMAN KATZ: Okay.

17 MR. FRANK: The first presentation that was
18 made this morning contained a number of slides. The
19 question -- the question is those slides were based
20 entirely on the 15-gigawatt case, is that correct?

21 MS. BARTOSEWICZ: That's correct.

22 MR. FRANK: Okay. And that represents the
23 average load today?

24 MR. ZAKLUKIEWICZ: Yes, it does.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. FRANK: Now, you --

2 MR. ASHTON: (Indiscernible) -- Mr. Zak,
3 the 15 gigawatts is really the average of the New England
4 system peak, is that correct?

5 MR. ZAKLUKIEWICZ: That is correct.

6 MR. ASHTON: And it may or may not
7 represent the average flow on that line, it's represents
8 the conditions of flow for that 15 megawatt -- or 15-
9 gigawatt load?

10 MR. ZAKLUKIEWICZ: I believe we -- we
11 already provided a curve --

12 MR. ASHTON: Yes --

13 MR. ZAKLUKIEWICZ: -- for that to show in
14 earlier testimony --

15 MR. ASHTON: And that's --

16 MR. ZAKLUKIEWICZ: -- on where the hours
17 per year were for the cases.

18 MR. ASHTON: And that's the so-called load
19 duration curve that you use?

20 MR. ZAKLUKIEWICZ: The load duration curve
21 per hour.

22 MR. ASHTON: Right. And so -- but that may
23 or may not -- that could be even a peak hour of flow
24 depending on the generation dispatched down there,

HEARING RE: CL&P and UI
JULY 27, 2004

1 couldn't it?

2 MR. ZAKLUKIEWICZ: The flow on any given
3 line is going to be determined on the generation at any
4 given -- that's on at any given time. And it is an
5 approximation when we ran the 15-gigawatt case as to what
6 the flows were on the lines for what we considered to be
7 what dispatch would be on in Connecticut at the time.

8 MR. ASHTON: Okay.

9 MR. ZAKLUKIEWICZ: I believe that would be
10 in Exhibit 87, but those were done for what we anticipated
11 to be dispatchable generation on for that load condition.

12 MR. FRANK: Believe it or not, Mr. Ashton,
13 you actually anticipated some of my questioning, but I
14 mean I will get back to that point.

15 MR. ASHTON: I'll take it as a compliment.

16 MR. FRANK: You also modeled a 27.7
17 gigawatt case, is that correct?

18 MR. ZAKLUKIEWICZ: Yes, we did.

19 MR. FRANK: Okay. That's contained in
20 Exhibits 1 and 2 of Dr. Bailey's testimony?

21 DR. BAILEY: Calculations based upon --

22 CHAIRMAN KATZ: Wait -- Dr. Bailey, just
23 wait a second, I'm going to have you start over.

24 DR. BAILEY: Calculations based upon those

HEARING RE: CL&P and UI
JULY 27, 2004

1 loading conditions were included in Exhibits 1 and 2.

2 MR. FRANK: Okay. And those calculations
3 were not presented in the slides this morning?

4 MS. BARTOSEWICZ: That's correct.

5 MR. FRANK: Now, you modeled a 27.7
6 gigawatt case in order to bound the upper limit of the
7 magnetic fields that could be associated with the lines in
8 normal operation, right? That's on page 3 of your
9 prefiled testimony, Dr. Bailey.

10 DR. BAILEY: Yes.

11 MR. FRANK: Okay. And I believe there was
12 earlier testimony in this proceeding that it is possible
13 that you will reach the peak load of 27.7 gigawatts by
14 2007, which is the date when this line is suppose to be in
15 service, correct?

16 MR. ZAKLUKIEWICZ: Under extreme weather
17 conditions, the answer is yes.

18 MR. FRANK: Okay. Now, the ROC group,
19 which is the Reliability and Operability Committee?

20 MS. BARTOSEWICZ: Correct.

21 MR. FRANK: Okay. For Case No. 6 performed
22 a thermal and voltage analysis, right?

23 MS. BARTOSEWICZ: That's correct.

24 MR. FRANK: And the ROC group looked at a

HEARING RE: CL&P and UI
JULY 27, 2004

1 peak load of 30 gigawatts?

2 MS. BARTOSEWICZ: That -- that is correct.

3 MR. FRANK: Okay. And I -- correct me if I
4 got this wrong, but on the conference call on July 20th, I
5 believe it was stated by the Applicant that it is possible
6 to reach 30 gigawatts in 2010 to 2012?

7 MR. ZAKLUKIEWICZ: Under -- under high load
8 peak conditions, the answer was yes.

9 MR. FRANK: Okay. And Dr. Bailey, you have
10 not calculated EMF assuming a 30-gigawatt case?

11 DR. BAILEY: No.

12 MR. FRANK: Okay. Dr. Bailey, am I correct
13 that generally speaking as the load increases, the EMF
14 levels also increase?

15 DR. BAILEY: On -- on a -- it would depend
16 upon what system you're talking about. Are you talking
17 about a single line, multiple lines --

18 MR. FRANK: Okay, fair enough. Am I -- is
19 it fair to say that when you compare the 15-gigawatt case
20 here to the 27-gigawatt case, the EMF numbers for the 27.7
21 gigawatt case are generally higher than the 15-gigawatt
22 case?

23 DR. JOHNSON: In general terms that's
24 probably a correct statement. There are --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. FRANK: That's all I --
2 DR. JOHNSON: -- generally --
3 MR. FRANK: Generally speaking --
4 DR. JOHNSON: There are some exceptions
5 where actually as you go to higher loadings, the fields at
6 the edges of the right-of-way will go down --
7 MR. FRANK: Okay --
8 DR. JOHNSON: -- for a multi-line --
9 MR. FRANK: Generally -- generally
10 speaking, that's a correct assertion?
11 DR. JOHNSON: For a single line, that's
12 true --
13 MR. FRANK: Okay --
14 DR. JOHNSON: -- for multiple lines, it can
15 vary depending on the situation.
16 MR. FRANK: Okay. Now, we -- we have been
17 speaking so far about the loading New England wide, right?
18 MR. ZAKLUKIEWICZ: Correct.
19 MR. FRANK: Okay. Now, the models that you
20 ran do not tell us what the load is at any given time at a
21 specific location, right?
22 MR. ZAKLUKIEWICZ: I believe that's
23 correct.
24 MR. FRANK: And you also agree that the

HEARING RE: CL&P and UI
JULY 27, 2004

1 load fluctuates depending on system usage?

2 MR. ZAKLUKIEWICZ: The load will fluctuate
3 -- or the current flow on a transmission line will
4 fluctuate as a result of the load and the dispatch in the
5 local area.

6 MR. FRANK: Okay. What is the anticipated
7 maximum capacity of the Middletown/Norwalk line?

8 MR. ZAKLUKIEWICZ: The conductors that are
9 being placed in service are bundled 1590 KCM ACSR
10 conductors. Their capability if the system was able to
11 push that much current over the lines is somewhere around
12 3600 amperes on the 345.

13 MR. FRANK: Okay. And Dr. Bailey, you did
14 not model EMF based upon the maximum capacity of the line,
15 correct?

16 DR. BAILEY: Not on those values.

17 MR. FRANK: Now, Dr. Bailey, in your
18 testimony you state that rerouting is a means of reducing
19 magnetic fields, is that correct?

20 DR. BAILEY: It's one possible option.

21 MR. FRANK: Okay. And on page 5 of your
22 prefiled, you state that the design options are not site
23 specific and do not take into account the potential
24 relocation of the right-of-way on the B'Nai Jacob property

HEARING RE: CL&P and UI
JULY 27, 2004

1 and the JCC complex in Woodbridge. First of all, could
2 you tell me what the rerouting options are for the B'Nai
3 Jacob/Ezra property?

4 MS. BARTOSEWICZ: For the B'Nai Jacob/Ezra
5 property, they own some property to the --

6 MR. FRANK: Who's they?

7 MS. BARTOSEWICZ: The B'Nai Jacob
8 Congregation. They own property that is to the -- I want
9 to say to the right, but it's --

10 A VOICE: West.

11 MS. BARTOSEWICZ: West of where the
12 existing -- I need a picture -- where the existing right-
13 of-way is. If you were to, essentially, push the right-
14 of-way over to the edge of that property, you would
15 increase the distance between the edge of the right-of-way
16 and the facility.

17 CHAIRMAN KATZ: Is that a supported change?

18 MS. BARTOSEWICZ: That is a change that the
19 companies would be happy to do for B'Nai Jacob.

20 MR. FRANK: Are there maps available that
21 show that change?

22 MS. BARTOSEWICZ: The -- I believe we have
23 filed in this proceeding a map that shows that change.

24 MR. FRANK: Okay.

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: Mr. Fitzgerald.

2 MR. FITZGERALD: I believe that they were
3 attached as an exhibit to Dr. Bailey's supplemental
4 testimony concerning site specific designs to reduce
5 fields at B'Nai Jacob and the JCC, which is dated --
6 Exhibit 73, April 30th.

7 CHAIRMAN KATZ: Thank you. And I'm going
8 to ask the witness panel that when alternatives are
9 discussed, please indicate to the Council whether this is
10 something that the company is willing to do or is this
11 something that you were asked to look into that you are
12 not willing to do, and I think that will be helpful to the
13 Council.

14 MS. BARTOSEWICZ: Sure.

15 MR. FRANK: So just for the record, that's
16 page 10, Dr. Bailey, of your April 30, 2004 supplemental
17 testimony?

18 DR. BAILEY: Let me -- (pause) -- I have it
19 on Exhibit 3 --

20 MR. FRANK: And is it 10 at the bottom of
21 the page for the page number --

22 DR. BAILEY: Yes --

23 MR. FRANK: -- is that right?

24 DR. BAILEY: -- page 10.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. FRANK: Okay. And Dr. Bailey, have you
2 derived any EMF calculations for this supported change?

3 DR. BAILEY: If you look on the following
4 page, page 11, there are evaluations made of 15 gigawatts
5 and 27 gigawatts for the fields with the relocated right-
6 of-way.

7 CHAIRMAN KATZ: Mr. Emerick, I'm going to
8 allow you a follow-up question if this is a good time.
9 Mr. Frank, Mr. Emerick has a follow-up.

10 MR. EMERICK: Just one point of
11 clarification with respect to that alternative. Does that
12 alternative -- and I'm recalling something from the
13 written testimony and I could be confusing it with another
14 situation -- but responding to that statutory structure,
15 does that alternative then place it closer to another
16 statutory structure?

17 MS. BARTOSEWICZ: Good question. There is
18 a home in the corner of that lot that the new relocated
19 right-of-way would move closer to that single home.

20 MR. EMERICK: But it's -- it's not a
21 residential area as you've defined it, but it is a home?

22 MS. BARTOSEWICZ: That's correct.

23 MR. EMERICK: Okay, thank you.

24 MR. FRANK: And what are the rerouting

HEARING RE: CL&P and UI
JULY 27, 2004

1 options for the JCC?

2 MS. BARTOSEWICZ: The JCC had asked the
3 companies to see if we could also move the right-of-way
4 away from their facilities. The companies provided JCC --
5 and as a matter of fact, those drawings are attached to
6 their recent testimony -- two options of moving. One --
7 the first one would be a jog in the right-of-way, moving
8 it further away from the JCC facility itself. And the
9 second one was moving the right-of-way as far -- as far
10 along the back edge of the JCC property as we could. And
11 we provided sketches to the JCC of both of those options.

12 CHAIRMAN KATZ: And?

13 MS. BARTOSEWICZ: I -- well -- and -- I
14 can't put words in the JCC's -- for the JCC. They'll have
15 to speak to those options themselves. We were -- they had
16 a problem with those options, so I --

17 CHAIRMAN KATZ: Okay. So would it be fair
18 to say that if they supported those options, the company
19 would be supportive?

20 MS. BARTOSEWICZ: And if the -- if the
21 Siting Council wishes us to do that, we would certainly do
22 that.

23 CHAIRMAN KATZ: Okay.

24 MR. FRANK: It's also fair to say that

HEARING RE: CL&P and UI
JULY 27, 2004

1 B'Nai Jacob and Ezra Academy did not support the option
2 that Dr. Bailey testified about?

3 CHAIRMAN KATZ: Can you --

4 MS. BARTOSEWICZ: I --

5 CHAIRMAN KATZ: -- make the question more
6 specific for us?

7 MS. BARTOSEWICZ: I can't answer for B'Nai
8 Jacob.

9 MR. FRANK: Okay. I'll move on.

10 CHAIRMAN KATZ: Yeah.

11 MR. FRANK: With respect to the JCC
12 property, are you aware of CL&P property that is adjacent
13 to the JCC property?

14 MS. BARTOSEWICZ: There -- there is CL&P
15 property adjacent, which would be to the west of the JCC
16 property.

17 MR. FRANK: And have you explored moving
18 the JCC day camp, for example, onto that parcel?

19 MS. BARTOSEWICZ: We have had conversations
20 with the JCC delegation, I guess you could call them,
21 about moving that right-of-way and what it might entail.

22 MR. FRANK: Okay. And how about moving any
23 of the JCC facilities to the CL&P property?

24 MS. BARTOSEWICZ: The two facilities in

HEARING RE: CL&P and UI
JULY 27, 2004

1 question would be the swimming pool and their day camp I
2 believe. The --

3 CHAIRMAN KATZ: Was there any mutual --
4 mutually agreed upon decisions based on these
5 conversations?

6 MS. BARTOSEWICZ: No.

7 CHAIRMAN KATZ: Okay.

8 MR. FRANK: Now, Dr. Bailey, on page 7 of
9 your prefiled testimony, you state I understand that some
10 playgrounds have been constructed partially within the
11 right-of-way, there may also be structures, even parts of
12 houses that have been constructed within the right-of-way;
13 as the company's buffer brief -- buffer zone brief points
14 out, in such cases the new statute would appear to require
15 the companies to enforce their easements to prevent such
16 uses on the right-of-way. Do you recall that testimony?

17 DR. BAILEY: Yes, I do.

18 MR. FRANK: Okay. Now, the new statute
19 applies to electric transmission lines that are 345-
20 kilovolt or greater. Do you agree?

21 DR. BAILEY: Yes.

22 CHAIRMAN KATZ: Well, I guess I'm --

23 MR. FITZGERALD: That's --

24 CHAIRMAN KATZ: Why are you asking him --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. FITZGERALD: Yeah --

2 MR. COLIN C. TAIT: Legal questions?

3 CHAIRMAN KATZ: -- legal questions?

4 MR. FITZGERALD: The --

5 MR. FRANK: I'm asking him about his

6 testimony.

7 MR. TAIT: He's not -- (indiscernible) --

8 CHAIRMAN KATZ: Okay, we'll --

9 MR. FRANK: I mean --

10 CHAIRMAN KATZ: Yes?

11 MR. FRANK: Dr. Bailey, are you suggesting
12 that if the Council approves an overhead 345-kilovolt line
13 in Segments 1 and 2, in certain areas where there are
14 structures or parts of homes or playgrounds that encroach,
15 they would have to be removed?

16 DR. BAILEY: That -- that's an issue to be
17 resolved by the companies and the Siting Council. I'd
18 don't know what the legal description of those easements
19 are and what responsibilities the adjacent landowners have
20 and the companies have.

21 MR. TAIT: Mr. Frank, just because he gave
22 an legal opinion does not mean that you need pursue it.

23 MR. FRANK: If I may have a little
24 latitude, perhaps we can get to some facts that are

HEARING RE: CL&P and UI
JULY 27, 2004

1 related to it.

2 MR. TAIT: But his opinion on whether
3 they'd have to be removed or not is not before us.

4 MR. FRANK: Assuming that -- assuming that,
5 that those -- that those houses or structures would
6 potentially have to be removed, how many houses or
7 structures are we talking about in Segments 1 and 2?

8 DR. BAILEY: I do not know. This is --
9 this is generally with respect to the entire overhead
10 route. I had seen examples on the aerials where there
11 were encroachments into the right-of-way, but I did not
12 make an enumeration of them.

13 MR. FRANK: Okay. And in the Applicants'
14 buffer zone brief, they also -- the Applicant states that
15 there are schools that would potentially -- that if
16 potentially encroach would have to be removed --

17 CHAIRMAN KATZ: Well --

18 MR. FRANK: -- and I guess my question is
19 assuming --

20 MR. TAIT: Mr. Frank, you're going down the
21 wrong road.

22 MR. FRANK: I'm asking a factual question.
23 I'm not asking his opinion. I'm asking him if that is the
24 case, how many schools and which ones are we talking

HEARING RE: CL&P and UI
JULY 27, 2004

1 about.

2 CHAIRMAN KATZ: But you're cross-examining
3 on a brief.

4 MR. FRANK: But he -- he referred to it in
5 his prefiled testimony and I --

6 CHAIRMAN KATZ: Well shame on you, Dr.
7 Bailey, you shouldn't have even gone down that road.

8 MR. TAIT: But he's not a lawyer. He's not
9 giving a legal opinion. So he said it.

10 MR. FRANK: In rendering your opinion, Dr.
11 Bailey, did you review the Applicants' brief on buffer
12 zones?

13 DR. BAILEY: I did.

14 MR. FRANK: And did you consider it in
15 preparing your testimony?

16 DR. BAILEY: Only indirectly.

17 MR. FRANK: Okay, fair enough.

18 (Pause)

19 MR. BRIAN O'NEILL: Madam Chairman --

20 CHAIRMAN KATZ: Yes, Mr. O'Neill --

21 MR. O'NEILL: -- if I may take advantage of
22 the pause for a moment --

23 CHAIRMAN KATZ: -- Mr. O'Neill.

24 MR. O'NEILL: -- and ask Dr. Johnson a

HEARING RE: CL&P and UI
JULY 27, 2004

1 question. I noted with interest on your resume that you
2 are an expert in the use of shielding. Does that extend
3 itself into architectural shielding from EMFs? And if so,
4 would there be any applications for people who were
5 concerned about exposure?

6 DR. JOHNSON: I've looked at -- questions
7 usually involve transformer vaults in like office
8 buildings where you may have typically computers located
9 right above or in very close proximity to the transformer
10 coming into the building. In those cases, you can look at
11 thicknesses of different metal, ferromagnetics like iron
12 or steel; or also for AC, aluminum, eighth-inch, quarter-
13 inch thick plates of aluminum, something that's highly
14 conductive can be used to help shield against the magnetic
15 field. And in those cases you're looking at putting
16 shielding or plating basically within the structure of the
17 room, floors, ceiling, and that's to reduce the magnetic
18 fields that may cause some screen bounce on the computer
19 monitors.

20 As part of my past also at the high-voltage
21 transmission research center, we've looked also at other
22 cases where you can reduce the fields; that's some of the
23 options with the split-phasing, active or passive
24 cancellation loops, as well as the material shielding when

HEARING RE: CL&P and UI
JULY 27, 2004

1 you get into specific rooms or office type settings.

2 MR. O'NEILL: Do you know of any instances
3 in New York City for example where architectural shielding
4 has been used to alleviate the concerns of abutting
5 residential properties or within the cores of high-rise
6 apartment houses for example?

7 DR. JOHNSON: Not -- I couldn't give you
8 specific residences. It may have been used, but I'm not
9 directly familiar with it.

10 MR. O'NEILL: Thank you.

11 CHAIRMAN KATZ: Back to you, Mr. Frank.

12 MR. FRANK: Thank you. If I could go back
13 to my prior point and I'm going to open it up to the
14 panel. In the Applicant's brief they make a point that
15 structures that are residences or schools that may
16 encroach into existing right-of-way and that those
17 structures or schools would have to be removed. And I
18 guess the question is which schools in particular would
19 have to be removed?

20 MR. FITZGERALD: Let me make a statement
21 that is somewhat by way of objection, but also to deliver
22 a witness who can give an answer to the question --

23 CHAIRMAN KATZ: Okay.

24 MR. FITZGERALD: -- I believe -- I wrote

HEARING RE: CL&P and UI
JULY 27, 2004

1 the brief -- I believe that I was talking about a number
2 of things, one of which was if the right-of-way is
3 required to be expanded to enlarge the buffer zone, things
4 may need to be removed. I also referred to structures
5 within the right-of-way. What I had in mind were not
6 buildings such as homes necessarily, but other kinds of
7 structures --

8 CHAIRMAN KATZ: But you have a witness who
9 can give a factual answer --

10 MR. FITZGERALD: And we do have -- we do
11 have Mr. Cyril Welter from Burns and McDonnel, who is the
12 person who gathered a lot of this information, and he can
13 answer Mr. Frank's -- he can tell Mr. Frank what we --
14 what the state of current knowledge is about what's in the
15 right-of-way.

16 CHAIRMAN KATZ: Okay. Has he been sworn?

17 A VOICE: Yes.

18 MS. RANDELL: Yes.

19 CHAIRMAN KATZ: Okay. Then why don't we
20 have that.

21 COURT REPORTER: Have him state his name
22 please.

23 CHAIRMAN KATZ: Yes. When you get seated
24 and get the mic in front of you, if you could give your

HEARING RE: CL&P and UI
JULY 27, 2004

1 name again.

2 MR. CYRIL WELTER: Okay. Are we on? My
3 name is Cyril Welter, C-y-r-i-l, W-e-l-t-e-r.

4 MR. FRANK: And just so the record is clear
5 because I do not want to mischaracterize Mr. Fitzgerald's
6 brief, what he says, and I quote, is "in a few cases
7 structures of adjacent statutory uses such as residences
8 or schools may encroach into the existing right-of-way".
9 "Such encroachments are similarly incompatible with the
10 buffer zone requirement. Accordingly in these instances
11 CL&P will comply with the buffer zone requirement by
12 enforcing its easement to require that the encroaching
13 portions of the structures be removed from the right-of-
14 way."

15 CHAIRMAN KATZ: Okay. And this witness
16 will comment on those structures.

17 MR. WELTER: Okay. What we're referring to
18 is when we tried to identify buildings along the right-of-
19 way using aerial photography and placed an edge of right-
20 of-way on that, we could see that there definitely are
21 auxiliary facilities that are within the right-of-way.
22 People have swimming pools, they have some sheds, garages,
23 other things like that. When it comes to these major
24 structures, such as houses and schools and that, some of

HEARING RE: CL&P and UI
JULY 27, 2004

1 those are very close and it would take a surveyor to
2 determine if they are in or out. So we said there may be
3 some that could be, you know, five feet, ten feet inside,
4 or they're at the edge, or something like that. It
5 couldn't be determined definitively. The only time that
6 we identified houses or other major structures that might
7 have to be removed was when we were talking about
8 expanding the right-of-way, particularly through
9 Bridgeport and Stratford where we've already stated there
10 are 29 such houses or businesses that would be affected.
11 The schools in some cases, the property is crossed by the
12 right-of-way. So that facility, if you want to use the
13 broader term, is within the right-of-way.

14 CHAIRMAN KATZ: In Segments 1 and 2, did
15 you identify structures --

16 MR. WELTER: No, not --

17 CHAIRMAN KATZ: -- that would have to be
18 removed?

19 MR. WELTER: No. There were ones that we
20 said are on the edge. And the word may is in there for
21 that reason.

22 MR. O'NEILL: Mr. Welter --

23 MR. WELTER: Yes?

24 MR. O'NEILL: -- in your review of this

HEARING RE: CL&P and UI
JULY 27, 2004

1 project, did you review any of the community standards or
2 the municipal standards for building within the right-of-
3 ways?

4 MR. WELTER: I don't recall seeing anything
5 on that, no.

6 MR. O'NEILL: So in essence, tomorrow
7 someone could build a new structure within the right-of-
8 way as far as your understanding is?

9 MR. WELTER: Well, my understanding would
10 be that the easement precludes anyone doing that. And
11 they -- in other words, that would be in violation of the
12 easement on that property.

13 CHAIRMAN KATZ: Wouldn't it also be fair
14 that you can't get a building permit from your town to do
15 a structure in the right-of-way?

16 MS. BARTOSEWICZ: Chairman Katz --
17 (indiscernible) -- you would think that's the case --

18 COURT REPORTER: Hold on please --

19 MS. BARTOSEWICZ: I said Chairman Katz you
20 would think that's the case.

21 MR. O'NEILL: So did you notice any
22 structures that were in violation of local building codes
23 from your point of view?

24 MR. WELTER: What we're saying is we saw

HEARING RE: CL&P and UI
JULY 27, 2004

1 some of these out-buildings, if you want to call it that,
2 that are in the right-of-way.

3 MR. O'NEILL: Thank you.

4 MR. WELTER: Yes.

5 MS. RANDELL: Madam Chairman, may I just
6 clarify the record? Mr. Welter responded to a question I
7 believe from you with respect to Segments 1 and 2. And it
8 was not clear to me whether he was referring to buildings,
9 schools, and houses in the right-of-way, major structures
10 as opposed to sheds, garages, swimming pools and the like.
11 Could I ask that that just be clarified? Mr. Welter, with
12 respect to Segments 1 and 2, are there sheds, swimming
13 pools and the like encroaching within the existing right-
14 of-way? It was just not clear to me --

15 MR. WELTER: Yes --

16 MS. RANDELL: -- from your answer.

17 MR. WELTER: Yes, there are.

18 MS. RANDELL: There are. So when you
19 responded to the Chairman that there are no structures,
20 you were referring to the major structures, schools and
21 the like?

22 MR. WELTER: Schools and houses.

23 MS. RANDELL: Thank you.

24 CHAIRMAN KATZ: Thank you. Back to you,

HEARING RE: CL&P and UI
JULY 27, 2004

1 Mr. Frank.

2 MR. FRANK: With respect to B'Nai Jacob and
3 Ezra Academy, the parking lot for example encroaches into
4 the right-of-way?

5 MR. WELTER: That's correct.

6 MR. FRANK: Is it your opinion that that
7 parking lot would have to be removed?

8 MR. FITZGERALD: Objection --

9 MR. WELTER: I don't have an opinion on
10 that. I think that's --

11 CHAIRMAN KATZ: Yeah, now you're --

12 COURT REPORTER: One at a time please.

13 CHAIRMAN KATZ: Now you're --

14 MR. FRANK: I have nothing --

15 CHAIRMAN KATZ: Good, okay. We're in
16 agreement.

17 MR. FRANK: I have some questions about the
18 video this morning and I would request a copy of that.
19 Dr. Bailey, on --

20 CHAIRMAN KATZ: For parties and things like
21 that -- (laughter) --

22 MR. FITZGERALD: That's good. We said
23 parties and -- we have copies available for parties and
24 intervenors --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. FRANK: I looked for it on Amazon this
2 morning and I couldn't find it.

3 COURT REPORTER: One moment please.
4 (Pause). Thank you.

5 CHAIRMAN KATZ: My understanding is, Mr.
6 Frank, we're all getting paper copies of that hopefully
7 this afternoon.

8 MR. FRANK: Yeah, I think that one could
9 win an Oscar for best foreign film. (Laughter).

10 Dr. Bailey, on page 6 of your prefiled
11 testimony, dated July 19, 2004, you state that you are
12 constructing a small laboratory model of a split-phase
13 transmission line to illustrate how adding three
14 additional conductors and splitting the power flow among
15 six conductors affects the magnetic field as the phasing
16 of the conductors is varied. Is that what we saw this
17 morning in the video?

18 DR. BAILEY: Yes.

19 MR. FRANK: Okay. And you state that the
20 studies will confirm that a split-phase design can be
21 incorporated into the transmission system and that the
22 reductions in the magnetic field occur in the, and I quote
23 you, "real world, not just in theory". Is --

24 DR. BAILEY: There --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. FRANK: My question is --

2 CHAIRMAN KATZ: What? Is there an
3 objection to the question?

4 MR. FITZGERALD: Okay -- I'm sorry -- no,
5 I'm sorry -- just wait. (Laughter).

6 MR. FRANK: My question is, is it -- the
7 parking lot experiment, does that bring split-phasing from
8 the realm of theory to the real world?

9 DR. BAILEY: It was -- it was, as I
10 described it, a demonstration. If you go further up in
11 that paragraph, it states we made a site visit during
12 which we measured the electric and magnetic fields under
13 sections of line configured in a split-phase design and
14 under other sections of the same line configured in the
15 delta design. This is an operating 115-kV line in western
16 New York State and Dr. Johnson made measurements there.
17 And that was, I believe a more relevant part of the
18 reference that this is an operating transmission line with
19 a split-phase design.

20 MR. FRANK: Okay. So it's primarily the
21 115 transmission line that brought split-phasing from
22 theory to the real world and not the experiment?

23 DR. BAILEY: Yes.

24 MR. FRANK: Nothing further from -- I'll

HEARING RE: CL&P and UI
JULY 27, 2004

1 turn it over to Attorney Kohler.

2 MS. KOHLER: Fortunately, Chairman Katz and
3 Mr. Emerick have answered -- have already asked a lot of
4 the questions, so I get to bat cleanup for everyone.

5 Dr. Bailey, in your prefiled testimony you
6 talk about several ways that you think that magnetic
7 fields can be reduced, and the first one is relocating the
8 line either underground or overhead. I believe you
9 previously testified that underground transmission lines
10 have minimal EMF impact to the surface environment?

11 DR. BAILEY: Well, it depends on where you
12 are in relationship to that line. You could be standing
13 above the conductors of an underground line and encounter
14 a higher magnetic field than you would at the edge of a
15 right-of-way of an overhead line. So --

16 CHAIRMAN KATZ: When you say above, you
17 mean like immediately over?

18 DR. BAILEY: Right, standing, you know,
19 three -- three feet -- or actually, for measurements would
20 be one meter above ground -- the measurements if you're
21 six feet from the conductors of an overhead -- of an
22 underground line, the field, the magnetic field may be
23 higher than what you would measure at the edge of a right-
24 of-way from an overhead line.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MS. KOHLER: So if -- if the underground --
2 are you assuming that the underground lines are buried to
3 a level that you're proposing in Segments 3 and 4, eight
4 feet?

5 DR. BAILEY: Yes -- well --

6 MS. BARTOSEWICZ: Excuse me. We're not
7 proposing eight feet to bury underground lines.

8 MS. KOHLER: Okay. What -- what level are
9 you proposing?

10 MR. ZAKLUKIEWICZ: Three feet plus 21
11 inches -- three feet plus twenty-eight inches --

12 COURT REPORTER: I'm sorry, I didn't hear
13 you --

14 MS. BARTOSEWICZ: Yes, three feet plus
15 twenty-eight inches.

16 MS. KOHLER: Wouldn't you agree though, Dr.
17 Bailey, that if undergrounding was technically feasible,
18 it would be the most reliable way to mitigate EMF impacts?

19 DR. BAILEY: I don't know that I have a
20 firm conclusion about that.

21 CHAIRMAN KATZ: Dr. Johnson, is there a way
22 to shield that person who's standing over the underground
23 line?

24 DR. JOHNSON: You could reduce the fields

HEARING RE: CL&P and UI
JULY 27, 2004

1 by metal plating, aluminum or ferromagnetic plating --

2 CHAIRMAN KATZ: Would it have to be like a
3 very thick plate or -- I mean are we talking something
4 that's very cost prohibitive or are we just talking
5 aluminum foil?

6 DR. JOHNSON: No, no, you're not talking
7 aluminum foil. You're talking, depending on the level of
8 shielding, a rough estimate probably is at least a quarter
9 inch high grade aluminum plating, or possibly something
10 like a half-inch possibly thicker steel type plating and
11 over something more than just like a foot or two. To
12 really have any impact, you're probably talking at least,
13 without looking at it in detail, probably eight feet wide
14 along the entire length.

15 CHAIRMAN KATZ: And do either of you know
16 how much EMF reduction you would get by this aluminum
17 shielding over the underground line?

18 DR. JOHNSON: Not off the top of my head.
19 Depending on the location of the -- basically the geometry
20 of the line and the person --

21 CHAIRMAN KATZ: I'm going to ask you to
22 take that as a homework assignment for our later
23 undergrounding days. Yes, Mr. Emerick.

24 MR. EMERICK: Just a follow-up. And I know

HEARING RE: CL&P and UI
JULY 27, 2004

1 the information is here in the record, but frankly I just
2 can't recall it. But I mean as I imagine what was
3 proposed along Route 1, that this line would more or less
4 follow the edge of the paved road or perhaps even under
5 sidewalks, which is the area where uncontrolled
6 populations could be. What kind of level are we talking
7 about to that person walking along the sidewalk imagining
8 that the line is perhaps right below them?

9 MS. BARTOSEWICZ: In the application we
10 filed EMF levels for the underground portion, so it can be
11 found in there --

12 MR. EMERICK: I know it could be found --

13 MS. BARTOSEWICZ: Yeah --

14 MR. EMERICK: -- I couldn't recall it.
15 We're talking about reducing it --

16 MS. BARTOSEWICZ: It looks --

17 MR. EMERICK: -- and I'm trying to get a
18 picture on what we are actually -- on what was proposed.

19 CHAIRMAN KATZ: Off the record.

20 (Off the record)

21 MS. BARTOSEWICZ: On -- in Volume 6 of 12,
22 and I'll use -- I'll use an example, page 54, it's a
23 magnetic field profile for Cross-Section 9-A, which was --
24 it just happened to be from Singer to Hawthorne,

HEARING RE: CL&P and UI
JULY 27, 2004

1 Alternative A, it shows a magnetic field profile. And in
2 the center of that profile, you're looking at about, you
3 know, 2 to 3 milligauss, right -- right in the middle --

4 MR. ZAKLUKIEWICZ: Directly above --

5 MS. BARTOSEWICZ: -- directly above. And
6 that would be -- that was for HPFF cable.

7 CHAIRMAN KATZ: And would it be different
8 for XLPE?

9 MS. BARTOSEWICZ: Yes, it would.

10 MR. ZAKLUKIEWICZ: Yes.

11 CHAIRMAN KATZ: Less or more?

12 MS. BARTOSEWICZ: More.

13 MR. ZAKLUKIEWICZ: More.

14 DR. BAILEY: More.

15 CHAIRMAN KATZ: And can we have an estimate
16 of how much more?

17 MR. ASHTON: Miss Bartosewicz, can I
18 suggest you look at page 26.

19 MS. BARTOSEWICZ: I'm sorry, Mr. Ashton?

20 DR. BAILEY: On page 26 those values are at
21 the edge of the right-of-way. They're not values directly
22 above the conductors.

23 CHAIRMAN KATZ: Okay. What I'm going to
24 ask you to do is perhaps maybe as part of your August 16th

HEARING RE: CL&P and UI
JULY 27, 2004

1 report -- if you come in with certain undergrounding in
2 the August 16th report, can we have an EMF of what those
3 underground portions would emit? Is that --

4 MS. BARTOSEWICZ: We also do have some in
5 our application. On page 56 there is a cross-section for
6 XLPE in this chart.

7 CHAIRMAN KATZ: And how much -- how many
8 milligausses is that?

9 MS. BARTOSEWICZ: This is coming in out of
10 Singer, so there's two cables, and it's about 28
11 milligauss.

12 CHAIRMAN KATZ: Okay. This is good that
13 we're doing this. Thank you, Miss -- so can we -- is that
14 a reasonable request that as part of your August 16th
15 report what you propose to have underground, you'll give
16 us EMF readings on that?

17 MS. RANDELL: I'm not sure we can do
18 readings. I think we can address the subject --

19 CHAIRMAN KATZ: Yes --

20 MS. RANDELL: -- in discussion and talk to
21 Dr. Bailey about calculations.

22 MR. FITZGERALD: Right. In other words --

23 CHAIRMAN KATZ: That's what I meant --

24 MR. FITZGERALD: -- the August --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MS. RANDELL: Yes, we can do that --

2 MR. FITZGERALD: On August 16th, hopefully,
3 we're going to have the results --

4 CHAIRMAN KATZ: Don't say hopefully, Mr.
5 Fitzgerald --

6 MR. FITZGERALD: -- that will include --
7 that will include --

8 CHAIRMAN KATZ: -- or I'm taking you with
9 me on my next trip up --

10 MR. FITZGERALD: -- specific underground
11 construction of an identified type, and you want to get
12 the EMF values for that --

13 CHAIRMAN KATZ: Yes. I'm assuming that in
14 the August 16th report you're going to come in with a
15 route, you're going to come with a type of cable that you
16 are proposing with the underground. And we're just asking
17 the EMF calculations for those undergroundings.

18 MR. FITZGERALD: I think that's a good
19 point.

20 CHAIRMAN KATZ: Mr. Ball, did you want to
21 be recognized?

22 MR. DAVID BALL: I did, thank you. Just on
23 this point I think it might make sense to have
24 calculations both at a burial of three feet but also at

HEARING RE: CL&P and UI
JULY 27, 2004

1 deeper depths, perhaps eight feet as well since we know
2 that has been discussed in this docket.

3 CHAIRMAN KATZ: Right. And that's
4 something under discussion with DOT. So yes, that -- that
5 would be reasonable.

6 MR. FRANK: If I could add to that, I think
7 it might make sense also to have --

8 CHAIRMAN KATZ: Wait a second --

9 MR. FRANK: It also makes sense to have
10 readings from -- if they place the cable in the middle of
11 the road versus if they placed it underneath the sidewalk.

12 MR. FITZGERALD: Well --

13 CHAIRMAN KATZ: Well, we're calling them
14 calculations, we're not calling them --

15 MR. FITZGERALD: That doesn't make any --
16 the profile would be the same, all you need to do is move
17 the --

18 CHAIRMAN KATZ: Yes --

19 MS. RANDELL: I --

20 MR. FRANK: But if --

21 CHAIRMAN KATZ: But I think Mr. Frank makes
22 a point that if you're putting something directly under a
23 sidewalk where people are going to step over it as opposed
24 to something under something else that people aren't

HEARING RE: CL&P and UI
JULY 27, 2004

1 necessarily walking over --

2 MS. RANDELL: I think we understand the
3 sense of the Council's inquiry and I think we'll be able
4 to do it without doing -- you know, making sure that today
5 we outline the 10 points to cover --

6 CHAIRMAN KATZ: Okay --

7 MS. RANDELL: -- we got it.

8 CHAIRMAN KATZ: So just to make sure I'm
9 clear of what your testimony was, standing directly over
10 an XLPE underground was 28 milligausses?

11 MS. BARTOSEWICZ: The table I was reading
12 from was a segment of XLPE cable from Singer to Hawthorne.
13 It had -- it was actually four cables, it went into Singer
14 and back out of Singer. So that was a specific
15 calculation for that part of the proposal.

16 CHAIRMAN KATZ: Okay. And so you're saying
17 this is not typical, this is more underground cable than
18 is typical?

19 MS. BARTOSEWICZ: It --

20 MR. ZAKLUKIEWICZ: Yes --

21 MS. BARTOSEWICZ: It was for four cables.

22 CHAIRMAN KATZ: Yes. Understood. Mr.
23 O'Neill.

24 MR. O'NEILL: Madam Chairman, in the nature

HEARING RE: CL&P and UI
JULY 27, 2004

1 of a follow-up field of inquiry, is it true, Dr. Johnson
2 or Dr. Bailey, the highest EMF readings on an underground
3 cable system would be at the splicing vaults? Is that a
4 fair assumption?

5 DR. JOHNSON: If you're talking about
6 exposure above ground, I don't -- I don't consider it like
7 a fair assumption. I mean the fact -- depending on the
8 type of cable, depending on the location, in your splicing
9 vaults you can have workers go down in there and get
10 closer proximity to the cable where you would have higher
11 fields. If -- if the cable becomes closer to the ground
12 as it comes into the splicing vault, then you could. If
13 in coming into the splicing vault you have greater
14 separation in the cables, you could possibly have higher
15 magnetic fields over the splicing vaults. But to make the
16 blanket statement that just because you have a splicing
17 vault you're going to have a higher magnetic field without
18 knowing the specific case, you really can't say.

19 MR. O'NEILL: Thank you.

20 CHAIRMAN KATZ: And I'll refer everybody to
21 the House debate on the public act where they actually
22 talked about the subject of EMF from underground.

23 MS. KOHLER: Dr. Bailey, the second type of
24 magnetic field mitigation you discussed was what we call

HEARING RE: CL&P and UI
JULY 27, 2004

1 split-phasing. And the example that you cite of real
2 world split-phasing is the 115-kV line in western New
3 York. Are there any examples that you know either in the
4 United States or internationally of 345-kV split-phasing?

5 DR. BAILEY: I don't know of any, but as
6 you saw from the demonstration that we did at 115 volts
7 and the material we hear about at 115,000 volts, that the
8 principle works irrespective of the voltage of the
9 conductors --

10 MS. KOHLER: But to date, did --

11 DR. BAILEY: -- because we're talking about
12 current flow.

13 MS. KOHLER: But to date there is no --
14 there's no system in place of a split-phase 345-kV?

15 DR. BAILEY: Not that I know of.

16 MS. KOHLER: And is there any system in
17 place of a combination 115-kV and 345-kV split-phase
18 system?

19 DR. BAILEY: I'm not sure about whether the
20 phasing has always been optimized, but there are numerous
21 examples of 115-kV and 345-kV lines on the same structure,
22 and they may or may not have been optimized to produce
23 that. I mean in some cases the companies may have done
24 that just as a matter of course without making any kind of

HEARING RE: CL&P and UI
JULY 27, 2004

1 announcement about it during the design stage.

2 MS. KOHLER: But -- so you're not aware of
3 any?

4 DR. BAILEY: I can't point to a specific
5 line and say that I know that this combination has been
6 optimally phased.

7 MS. KOHLER: Okay.

8 CHAIRMAN KATZ: Mr. Zak, is split-phasing
9 of a 345-kV something that ISO has to bless off on?

10 MR. ZAKLUKIEWICZ: Not to my knowledge.

11 CHAIRMAN KATZ: Have you asked, just so
12 we're not surprised?

13 MR. ZAKLUKIEWICZ: I don't -- I think it is
14 a construction matter and it has nothing to do with the
15 reliability of the bulk power system. So I would not see
16 them, ISO having a concern of whether a portion of the
17 line is split-phased or conventional construction.

18 CHAIRMAN KATZ: Yes, okay. But you won't
19 be insulted if we ask the ISO witness that just to be
20 sure?

21 MR. ZAKLUKIEWICZ: No, there will just be a
22 matter of cost recovery issues.

23 CHAIRMAN KATZ: Understood. Thank you.

24 MS. KOHLER: Can someone explain why the --

HEARING RE: CL&P and UI
JULY 27, 2004

1 in some cases the 115 line seems to aid in EMF mitigation
2 and in some cases it doesn't?

3 DR. JOHNSON: It's mainly due to the
4 loading or the currents on those lines and the phasing of
5 the 115 to the 345 line. To some extent, I think this
6 gets back to your question of a 115 and a 345 line
7 operating as a suit or like a split-phase line. Well, the
8 115 and the currents on it are helping to cancel the
9 fields produced by the currents on the 345 line.

10 Depending on the relative phasing and the magnitude of the
11 currents on that 115 and 345 line, in some cases if the
12 phasing is appropriate, so you're approaching like the
13 split-phase arrangement, you actually get the currents
14 from the 115 helping to cancel the currents on the 345
15 line or ultimately the fields. In other cases, the
16 phasing of the 115 line may be such that instead of
17 helping to cancel the fields on 345, you actually get an
18 enhancement of the fields. Now in some cases of the 115
19 line you may have the current flow going in different
20 directions; in one direction it will help cancel and the
21 other direction it may enhance.

22 MS. KOHLER: And that criteria can change
23 from segment to segment?

24 DR. JOHNSON: Because from segment to

HEARING RE: CL&P and UI
JULY 27, 2004

1 segment you may have different lines on the corridor and
2 so the currents and the direction of flows on those
3 various lines will change from segment to segment.

4 MS. KOHLER: I understand that you can
5 transition different types of split-phasing in different
6 sections of the line. Is it possible to have split-
7 phasing in one location for several hundred feet and then
8 transition to a different type of split-phasing? For
9 example, having in one section of the line split-phasing
10 with no tower height increase and then move to split-
11 phasing with tower height increase?

12 MR. ZAKLUKIEWICZ: For the description
13 you've just provided, the answer would be -- I have split
14 phasing with a 110-foot structure and now I'm going to
15 split-phasing with a 150-foot structure --

16 MS. KOHLER: A hundred --

17 MR. ZAKLUKIEWICZ: -- was that --

18 MS. KOHLER: A hundred and --

19 MR. ZAKLUKIEWICZ: -- was that your
20 question?

21 MS. KOHLER: A hundred and thirty-four --

22 MR. ZAKLUKIEWICZ: Whatever. A
23 significantly --

24 MS. KOHLER: Correct --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. ZAKLUKIEWICZ: -- higher structure?

2 MS. KOHLER: Yes.

3 MR. ZAKLUKIEWICZ: The answer to that would
4 be physically in most cases that can be done.

5 MS. KOHLER: And what other structures or
6 equipment is necessary to accomplish that? What's the
7 impact to the right-of-way?

8 MR. ZAKLUKIEWICZ: Well, the impact on the
9 right-of-way would be of course the tallest structure as
10 to be -- has to have a larger foundation and a wider base
11 to it than a structure that is of lesser height. So it
12 would primarily be in the size of the foundation for the
13 structure or the monopole if that's what we're speaking of
14 here, and of the amount of material in the monopole to
15 take the weight of conductors higher up in the air.

16 MS. KOHLER: Do you need additional
17 structures to make the transition -- that type of
18 transition?

19 MR. ZAKLUKIEWICZ: If we were just going
20 from a 110-foot structure to a 130-foot structure, I do
21 not see a need for any additional structures at that
22 location. They would just go -- not much different than
23 you do when you go to a river crossing that is
24 significantly higher than the surrounding land type

HEARING RE: CL&P and UI
JULY 27, 2004

1 structures.

2 MS. KOHLER: Okay.

3 CHAIRMAN KATZ: Mr. Emerick.

4 MR. EMERICK: Mr. Zak, as you go to a
5 higher structure, would your need for maintenance of the
6 right-of-way width decrease?

7 MR. ZAKLUKIEWICZ: I do not see any
8 appreciable difference in what we would require for
9 vegetation clearing. It would depend on -- in some cases,
10 as we do today, we would look at the tree species that are
11 on that right-of-way at that location. If certain tree
12 species can get up at 60 or 70 or 80 foot, the bottom
13 conductor is still going to be the driver as to what our
14 need for clearance is, Mr. Emerick.

15 MR. EMERICK: Okay, thank you.

16 MS. KOHLER: Dr. Bailey, on page 7 of your
17 prefiled testimony you note that the values that you
18 provided in Exhibit 1 were representative of existing and
19 probable future conditions -- sorry -- but you indicate
20 that the analyses did not incorporate assumptions about
21 certain other conditions. And one of those input
22 conditions is, quote, "other loading conditions". Can you
23 explain what those other loading conditions are that
24 weren't included?

HEARING RE: CL&P and UI
JULY 27, 2004

1 DR. BAILEY: What I was referring to is
2 that the modeling of the magnetic fields for the average
3 and peak cases considered specific load flows for the 15-
4 gigawatt case and the 27.7 gigawatt case for those lines
5 on the proposed right-of-way. And we did not look at, you
6 know, what would happen if all of a sudden one of those
7 lines went out of service or if -- you know, variations on
8 those load flows other than those typical cases.

9 MS. KOHLER: Okay. In reference to Exhibit
10 2, we had some earlier discussion about the definition of
11 a neighborhood. And you don't make any assertion that
12 this definition is what was proposed or intended by the
13 statute?

14 MS. BARTOSEWICZ: No, we do not.

15 MS. KOHLER: And in fact, there might be
16 other residential areas that could be considered a
17 residential area given a different definition?

18 MS. BARTOSEWICZ: The Siting Council has
19 the authority to determine what that should be.

20 MS. KOHLER: And in defining residential
21 areas, you triggered the measurements off of actual homes
22 and not the backyards that may abut the right-of-way or --
23 or --

24 CHAIRMAN KATZ: What's the difference?

HEARING RE: CL&P and UI
JULY 27, 2004

1 MS. KOHLER: I think if they triggered the
2 measurement off of the home, the home might be 200 feet
3 away from the right-of-way or 400 feet from the right-of-
4 way --

5 CHAIRMAN KATZ: Oh, I see --

6 MS. KOHLER: -- but the actual backyard
7 abuts the right-of-way, the pool abuts the right-of-way.

8 CHAIRMAN KATZ: Right. Can you --

9 MS. BARTOSEWICZ: Well --

10 CHAIRMAN KATZ: -- clarify where the 300
11 was to?

12 MR. CRETELLA: The way the -- I'll call it
13 a rule of thumb, I wouldn't call it necessarily a
14 definition -- the rule of thumb was that we looked at an
15 area that extended 300 feet out from the edge of the
16 right-of-way and extended for a length of 2,000 feet along
17 the right-of-way. And if there were a group of homes --
18 and we didn't necessarily specify how many -- if there
19 were a group of homes that fit into that category and the
20 property lines associated with those homes abutted the
21 right-of-way, they were included as a buffer statutory
22 facility adjacent to the right-of-way. So there had to be
23 a common property abutting of the right-of-way border with
24 the property lines associated with the homes.

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: So if there was a street
2 abutting the right-of-way and a house across the street,
3 would that be counted or not counted?

4 MR. CRETELLA: That would not be counted
5 because the property lines did not abut or are adjacent to
6 the right-of-way.

7 MS. KOHLER: If there was a house that was
8 500 feet out of the right-of-way or a group of houses that
9 were 500 feet out of the right-of-way, is it accurate then
10 they would not have been included?

11 MR. CRETELLA: That is correct.

12 MS. KOHLER: Okay.

13 MS. BARTOSEWICZ: Uh --

14 MR. CRETELLA: Outside of -- if a group of
15 -- the houses have to be within the 300 feet, okay.

16 MS. KOHLER: So there -- there may be many
17 properties in which the house was just outside of that 300
18 feet, but in fact the entire backyard is within the 300
19 feet but yet it was not considered to be a residential
20 area?

21 MR. CRETELLA: That is correct. Again,
22 that was our rule of thumb that we tried to use to
23 identify what a residential area is that is adjacent to
24 the right-of-way.

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: Now, you chose that as sort
2 of your final definition, but did you map any other
3 scenarios of others that you worked with?

4 MR. CRETELLA: No, we did not.

5 CHAIRMAN KATZ: Okay.

6 MS. KOHLER: And Dr. Bailey, if you could
7 just -- on your Exhibit 2 -- I'm also going to ask you to
8 look at Exhibit 41, which was your responses to AG-14,
9 dated January 22, 2004 --

10 DR. BAILEY: I'm not sure I have that.
11 Could someone provide that response to me.

12 MS. KOHLER: It's AG --

13 DR. BAILEY: One moment --

14 MS. KOHLER: Exhibit 41, AG-14.

15 CHAIRMAN KATZ: Do you want to wait or do
16 you want to ask something else while they're looking for
17 it?

18 MS. KOHLER: Uh --

19 CHAIRMAN KATZ: Your choice?

20 MS. KOHLER: -- I think I'm actually done -

21 -

22 CHAIRMAN KATZ: Okay, we'll wait a moment
23 then.

24 DR. BAILEY: Was that AG-14? Correct?

HEARING RE: CL&P and UI
JULY 27, 2004

1 MS. KOHLER: AG-14 --

2 DR. BAILEY: Okay --

3 MS. KOHLER: -- it's dated January 22,
4 2004.

5 DR. BAILEY: Okay.

6 MS. KOHLER: In Exhibit 2 to Exhibit 124
7 you list the Eisenhower Park ballfield at the very bottom
8 of that table. It's the very last line, it's ID No. P-48.

9 DR. BAILEY: Yes.

10 MS. KOHLER: And if you go across that row,
11 it references the park ballfield, it talks about the --
12 under measurements of fields from existing transmission
13 line and other sources, it notes that it's 20 -- the
14 measurement distance is 24 feet. And then if you move
15 over to the -- under the calculated field section, it
16 lists the proposed magnetic field as being 1.5 average
17 load and 4.6 peak load.

18 DR. BAILEY: Um-hmm.

19 MS. KOHLER: If you now go to the response
20 to AG-14, which is Exhibit 41, it lists in the third row
21 Eisenhower Park playing field bleachers the same thing, it
22 says measurement distance from the right-of-way 24 --
23 under the measurement section. And then if you move over
24 to the calculated field section, it says an average load

HEARING RE: CL&P and UI
JULY 27, 2004

1 of 9.8 milligauss and a peak load of 34 milligauss. The
2 peak load for Eisenhower Park ballfields that were given
3 in response to AG-14 is almost seven and a half times the
4 EMF level that is included in Exhibit 2. I'm just hoping
5 you can help me to navigate through that and understand
6 it?

7 DR. BAILEY: There are a variety of factors
8 that explain the differences. One is that there is -- the
9 softball fields referred to in P-48 correspond in AG-02
10 response to Facility No. 21 where it says softball fields
11 --

12 MS. KOHLER: Um-hmm --

13 DR. BAILEY: -- so there's two different
14 locations being referenced. Another difference is that
15 the measurement distances may not be the same. And also
16 the third consideration is that this section -- if you'll
17 see Cross-Section 8, at that time the finer discrimination
18 of the type of facilities within that cross-section and
19 loadings for those subsections of the cross-section had
20 not been made. And as you can see on Exhibit 2, it is
21 Cross-Section 8 south --

22 MS. KOHLER: Um-hmm.

23 DR. BAILEY: -- so it is a subsection of
24 what was included in 8, and that in itself could give you

HEARING RE: CL&P and UI
JULY 27, 2004

1 a very substantial difference in the calculated fields
2 even at the same distance from the lines.

3 MS. KOHLER: If you look at your Exhibit 2,
4 Eisenhower ballfield, you'll agree that if you look under
5 measurement distance from right-of-way, it says 24 --

6 DR. BAILEY: Um-hmm.

7 MS. KOHLER: -- which is the same as AG-14,
8 and if you look under magnetic field, it says 4.6, which
9 is the same as the magnetic field that's indicated in that
10 table. The one that -- the one that you said that is lieu
11 of the softball fields actually contains no information.

12 DR. BAILEY: Okay. The -- the measurement
13 was not retaken. The measurement in Exhibit 2 was the
14 measurement value that had been taken by the companies for
15 the AG-02 response, but the distances at which the
16 calculations were made was updated for Exhibit 2.

17 MS. KOHLER: Can you tell me where the
18 distance it was taken from the AG-14 response, or can
19 someone on the panel?

20 DR. BAILEY: The measurement value, I'm
21 told it was -- that we were provided for this facility was
22 not made at the same location, a second set of
23 measurements were made -- no, I'm sorry -- that the
24 measurement values for Exhibit 2 were the same values that

HEARING RE: CL&P and UI
JULY 27, 2004

1 were given in response to AG-02, but the calculation
2 distances and locations were updated.

3 MS. KOHLER: Where was -- in the AG-02
4 response where -- what was the distance that was used for
5 the AG-02 -- the AG response?

6 DR. BAILEY: The nearest portion of the
7 softball field is further away from -- than where the
8 measurement location was made. So if the measurement
9 value here, 24 feet from the distance, obviously it would
10 explain why that -- among other things I already
11 discussed, why that measurement value would be higher than
12 a measurement that would be taken much further away or a
13 calculation made at a further distance. That is the
14 measurements and the calculations may not always refer to
15 the same physical location.

16 MS. KOHLER: I don't want to belabor the
17 point, but I really want to understand this because I'm
18 sure that you know that the residents are very concerned
19 about making sure that these numbers are right. In both
20 tables --

21 (Indiscernible voices in background)

22 MS. KOHLER: In both tables the measured
23 distance is indicated as being 24. In both tables --

24 DR. BAILEY: That's correct.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MS. KOHLER: In both tables the magnetic
2 field calculations -- the magnetic field level for the
3 measurement is 4.6?

4 MR. CRETELLA: Dr. Bailey --

5 DR. BAILEY: The measured value.

6 MS. KOHLER: Right.

7 MR. CRETELLA: If I may clarify. There are
8 two distances that are included in these tables --

9 MS. KOHLER: Um-hmm.

10 MR. CRETELLA: -- the once distance that's
11 labeled measurement distance is the distance where the
12 physical person stood relative to the right-of-way to take
13 the measurement. That may or may not be the same as the
14 distance that was used to perform the calculation of the
15 magnetic fields under the various conditions --

16 MS. KOHLER: I understand that --

17 MR. CRETELLA: You understand that, okay --

18 MS. KOHLER: -- that the distance to the
19 right-of-way for the calculated fields may be different
20 than that -- than the measured fields than you did in the
21 office. And what I'm confused by is where it says
22 Eisenhower Park ballfield, it gives one set, it gives the
23 1.5 average and 4.6 at peak. In response to the AG's
24 response, it says Eisenhower Park playing field bleachers,

HEARING RE: CL&P and UI
JULY 27, 2004

1 the same ballfield --

2 MR. CRETELLA: No, no, one is the bleachers
3 and the other is the ballfield.

4 MS. KOHLER: It says bleachers/playing
5 field. I'm assuming that's the bleachers at the playing
6 field?

7 MR. CRETELLA: Correct.

8 MS. KOHLER: It says 9 point -- 9.8 and 34
9 milligauss. So there's a seven and a half times
10 milligauss level at peak load than what is being
11 anticipated now.

12 MS. BARTOSEWICZ: Chairman Katz --

13 CHAIRMAN KATZ: Yes?

14 MS. BARTOSEWICZ: -- can we use the
15 afternoon break --

16 CHAIRMAN KATZ: Yes, I think that's an
17 excellent suggestion --

18 MS. BARTOSEWICZ: -- so we can provide Miss
19 Kohler the correct answer --

20 CHAIRMAN KATZ: Right. What I'd like you
21 to do is perhaps during the 3:00 o'clock break that we --
22 that you agree on an exact ground true location and then
23 they will get you an answer of what the milligauss is
24 calculated to be at that location. I think it will help

HEARING RE: CL&P and UI
JULY 27, 2004

1 on the confusion.

2 MS. KOHLER: I hope so.

3 CHAIRMAN KATZ: Yes.

4 MS. KOHLER: Dr. Bailey, in your prefiled
5 testimony, finally, you talk about other options to
6 mitigate EMF and that they might be site specific.
7 Assuming that the 3-foot tall 2-by-4 that was done this
8 morning is not possible for Milford, are there any other
9 possibilities that you'd like to -- that are available for
10 the towns?

11 CHAIRMAN KATZ: I saw that one coming.

12 DR. BAILEY: Well, we haven't been able to
13 shrink a facility to the size of our model, maybe that's
14 coming in the future.

15 At any particular location, obviously the -
16 - you can take the option designs and try and make further
17 site specific refinements. So it may involve -- if 115's
18 had not been proposed on a particular section and are
19 being taken off the right-of-way and placed underground,
20 that could be done. It could be that at a particular site
21 it might be possible to adjust the separation of the
22 phases on proposed and existing lines to achieve greater
23 field reduction. There are a variety of different things
24 that in a site specific -- in a particular location one

HEARING RE: CL&P and UI
JULY 27, 2004

1 should know what is available in terms of right-of-way and
2 what kinds of fields you're trying to reduce at that
3 location that you might be able to add to the basic
4 designs that were outlined in the presentation this
5 morning.

6 CHAIRMAN KATZ: Dr. Bailey, does vegetation
7 have any effect if it's between the person and the line or
8 is it basically the EMFs just go right through vegetation?

9 DR. BAILEY: Only -- the magnetic field
10 would not be affected by the presence of vegetation, but
11 the electric field may well be effectively blocked by the
12 presence of trees, shrubs, vegetation, and metallic fences
13 and buildings.

14 CHAIRMAN KATZ: Okay.

15 MR. O'NEILL: Mr. Bailey, under full load
16 as the wire sags and comes closer to the ground, wouldn't
17 the EMFs be changed at those points as opposed to the top
18 of the structures?

19 DR. BAILEY: The field levels where the
20 conductors are closest to the ground would be higher than
21 they would be closer to the tower and the line heights
22 that we have assumed for the -- that Dr. Johnson used in
23 his modeling was at the point of lowest sag, where they
24 were closest to the ground.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. O'NEILL: So by further enhancing the
2 design by placing those poles, we can further address the
3 issues as far as positioning them in proximity to
4 residential areas and day care centers as well, can't we?

5 DR. BAILEY: Yes. That could have
6 particularly a relatively larger impact for residences
7 closest to the right-of-way. If they're very far from the
8 right-of-way, then that may have less of an impact.

9 MR. O'NEILL: Thank you.

10 MR. EDWARD S. WILENSKY: Madam Chairman.

11 CHAIRMAN KATZ: Yes, Mr. Wilensky.

12 MR. WILENSKY: Dr. Bailey, to have an
13 adverse reaction to we'll say EMF, does there have to be
14 long-term exposure or could somebody just walk underneath
15 it and have none or less than somebody that's living
16 nearby, or does it matter, or am I explaining it properly?

17 DR. BAILEY: The scientific literature does
18 not provide a basis to determine that at the levels that
19 we encounter in our environment whether it's the, you
20 know, 40 or 50 or a hundred milligauss in a grocery store
21 or the 10 milligauss near an appliance in a home, or half
22 a milligauss from the currents flowing in your water
23 pipes. We don't have a basis for the fields from this
24 transmission line -- we don't have a basis to determine

HEARING RE: CL&P and UI
JULY 27, 2004

1 that any of these values are, in fact, posing a health
2 risk.

3 MR. WILENSKY: Okay. Thank you, Dr.
4 Bailey. Thank you, Madam Chairman.

5 MS. KOHLER: I have nothing else, Thank
6 you.

7 CHAIRMAN KATZ: All set? Thank you. Is
8 the Town of Orange represented here today?

9 A VOICE: Yes.

10 CHAIRMAN KATZ: Yes. And then Mr. Boucher,
11 you're after that.

12 MR. EMERICK: (Indiscernible) --

13 CHAIRMAN KATZ: Yes, Mr. Emerick, we'll
14 give the floor to you.

15 MR. EMERICK: Before I forget it, Dr.
16 Johnson, you had mentioned on one of the mitigations, and
17 perhaps I heard you wrong, but I heard two techniques that
18 -- I don't know what they are -- and I think you mentioned
19 looping and -- was it modified looping? Could you explain
20 what those are and if they have any application?

21 DR. JOHNSON: Probably an active loop or a
22 passive loop.

23 MR. EMERICK: That was it, thank you.

24 DR. JOHNSON: Basically, that's where you

HEARING RE: CL&P and UI
JULY 27, 2004

1 string a conductor around a certain area. And an active
2 loop is where you're actively injecting current into it,
3 driving current through it. The amount of current that
4 you're actively injecting many times is determined by some
5 remote sensor to determine the level and the amount.

6 Passive loop is a similar type concept
7 where you have a current in a loop of wire, but that
8 current and the amount of it is being induced by the
9 magnetic field that's there already. Now to accomplish
10 this, typically for the passive loop you need very large
11 conductors. Typically, bundled conductors are two to four
12 inches in diameter, along with typically capacitors to
13 help set the phase angle in order that you get optimum
14 cancellation, basically to get the most benefit out of the
15 current that you're driving through the conductor and the
16 field that it produces versus the field that you're trying
17 to cancel. In the sense of doing this you've got the flip
18 side that you may get the benefit at one location where
19 this loop is going, but at some other point you've got the
20 other side of the loop for it to come back around. And at
21 that other point it's more difficult to control actually
22 the field that you get, you may actually enhance the field
23 at that other location, wherever the loop is coming back.

24 So usually with the loop type technology

HEARING RE: CL&P and UI
JULY 27, 2004

1 they're active or passive, you have some drawbacks with it
2 where on one side you get a benefit, at the other side you
3 basically get an enhancement or a negative benefit.

4 MR. EMERICK: Where would you use this?

5 DR. JOHNSON: Usually where you have the
6 active loops, it may be like around a -- typically, I've
7 seen it around computer monitors where you want to reduce
8 the specific field at the monitor, in some cases roughly
9 room size, so that in the center of the room you may get a
10 reduced field, but wherever that wire loop is running, as
11 you get close to it you're going to have an enhanced
12 field. So you generally use it where you have a
13 specifically targeted area that you want to reduce the
14 field.

15 MR. EMERICK: So this has no application in
16 terms of transmission then really?

17 DR. JOHNSON: It's a bigger -- a bigger
18 canvas. Probably not the active loop. Passive loop,
19 that's -- it's really site specific. You could not rule
20 it out probably completely, but it's not an easy generic
21 type fix.

22 MR. EMERICK: Well, nothing has been easy,
23 so -- we're past that point.

24 CHAIRMAN KATZ: Well let's leave it at this

HEARING RE: CL&P and UI
JULY 27, 2004

1 point --

2 MR. EMERICK: Yeah.

3 CHAIRMAN KATZ: If you feel that it has an
4 application to this docket, please get back to us.

5 DR. JOHNSON: Okay. A homework assignment,
6 right?

7 CHAIRMAN KATZ: You got it. Mr. O'Neill.

8 MR. O'NEILL: Dr. Johnson, do you see any
9 new generation of conductors which are lower in EMF fields
10 than transitionally used conductors?

11 DR. JOHNSON: If the conductor per say
12 carries current, then it's going to produce a magnetic
13 field.

14 MR. O'NEILL: Yes, but are there new types
15 of conductors which are lower in field?

16 DR. JOHNSON: If that conductor is carrying
17 the same level of current, it's not going to have a lower
18 field.

19 I think possibly you may have heard on the
20 popular media something like low field conductors. If
21 you've got a conductor that's carrying a thousand amps, it
22 will produce the same magnetic field as any other
23 conductor carrying a thousand amps. The only thing that I
24 can possibly see in their argument is that their conductor

HEARING RE: CL&P and UI
JULY 27, 2004

1 may sag a little bit less than a traditional one,
2 therefore it stays a little bit further away, it doesn't
3 come quite as close to the ground for the same amount of
4 current going through it. And because of that, the field
5 at ground level is a little bit less, but we're probably
6 only talking maybe a few percentage points difference, and
7 that's directly underneath the conductor.

8 MR. O'NEILL: Thank you.

9 COURT REPORTER: One moment please.

10 (Pause). Thank you.

11 CHAIRMAN KATZ: Mr. Stone.

12 MR. O'NEILL: Thank you.

13 CHAIRMAN KATZ: Yeah.

14 MR. BRIAN STONE: Yes, thank you. Brian
15 Stone for the Town of Orange.

16 Dr. Bailey, I believe it was you that
17 testified that you can have different benefits on
18 different segments based upon the conditions from a split-
19 phase line. Is that accurate?

20 DR. BAILEY: I'm not sure what you mean by
21 different benefits. Do you mean different --

22 MR. STONE: Well, you'd have different
23 cancellation --

24 DR. BAILEY: Right, the split-phase design

HEARING RE: CL&P and UI
JULY 27, 2004

1 may produce different fields at the edge of the right-of-
2 way in different cross-sections.

3 MR. STONE: Is -- is -- can the split-phase
4 have different fields within the same cross-section at
5 varying points of time because of changing conditions that
6 occur on the lines?

7 DR. BAILEY: I'm not sure exactly -- are
8 you saying will the -- will the split-phase work no matter
9 what -- they will be operating no matter what the low
10 level is?

11 MR. STONE: Well, I --

12 DR. BAILEY: That may differ from one
13 cross-section to the other.

14 MR. STONE: I understand that, but let's
15 assume that you design and build a split-phase system.
16 That's going to have a certain configuration within the
17 field and that's going to be based upon a certain set of
18 criteria and calculations that you've done. If the
19 reality of what happens is that there are -- and I assume
20 this is accurate, that there are changes in loads, changes
21 in currents, things that occur in the normal -- either in
22 the normal course or in the extraordinary course where
23 there is an outage, will that change the benefit, i.e. the
24 split-phase cancellation that has occurred at a particular

HEARING RE: CL&P and UI
JULY 27, 2004

1 point along a segment?

2 DR. BAILEY: Probably no more so than any
3 other circuit. And I would point out that the -- that the
4 split-phase structure in the 345-line that is proposed,
5 that performance for that line is relatively constant, and
6 that much of the variation that you see between cross-
7 sections reflects not so much the variations in what's
8 happening with the split-phase line, but it's happening
9 with the lines that are running on the corridor next to
10 it.

11 MR. STONE: Fair enough. I have a question
12 concerning structures or significant structures, houses,
13 schools, etcetera, that are located within the right-of-
14 way. There was some testimony that there are a number of
15 structures which -- that you could not determine from the
16 aerials whether or not they were in the right-of-way. Can
17 I ask how many of those structures -- do you have a number
18 as to how many structures there are that fit that
19 category?

20 MR. WELTER: We don't have an exact number,
21 no.

22 MR. STONE: Can you -- can you -- is it
23 determinable what that number is or is it your intention
24 to determine what structures are actually within the

HEARING RE: CL&P and UI
JULY 27, 2004

1 right-of-way to do those calculations?

2 CHAIRMAN KATZ: Now when we use the word
3 structures, we're using the sheds, swimming pools --

4 MR. STONE: No, I'm using the -- excuse me,
5 significant structures.

6 CHAIRMAN KATZ: Okay. I think we already
7 had testimony there were no significant structures in the
8 right-of-way. Can someone clarify that?

9 MS. BARTOSEWICZ: Correct. We said that
10 there were no houses, buildings, schools in the right-of-
11 way.

12 CHAIRMAN KATZ: Okay.

13 MR. STONE: I -- I don't -- I don't think
14 that that's -- that that was the testimony. I thought the
15 testimony was --

16 CHAIRMAN KATZ: Well, that's what I heard.

17 MR. STONE: I --

18 MR. FITZGERALD: Well --

19 MR. STONE: Go ahead.

20 MR. FITZGERALD: Actually, I heard
21 something slightly different and perhaps we ought to --

22 CHAIRMAN KATZ: Okay, can we have a
23 clarification --

24 MR. FITZGERALD: -- let Mr. Welter say it

HEARING RE: CL&P and UI
JULY 27, 2004

1 again.

2 MR. WELTER: The point is there are some
3 that are at the margin that may be -- what I said before
4 was plus or minus five or ten feet in trying to apply this
5 right-of-way to an aerial photo and look at that, and that
6 they could only be determined by surveying. We don't
7 think there's any entire buildings in there that's for
8 sure.

9 MR. STONE: There -- there are some
10 buildings that might -- am I correct that there are some
11 buildings that might be in the right-of-way --

12 MR. WELTER: Might --

13 MR. STONE: -- but you just can't make that
14 determination one way or the other because --

15 MR. WELTER: The edge of the building may
16 or may not penetrate that, we're not positive.

17 CHAIRMAN KATZ: But don't -- isn't it fair
18 that the company probably has an existing program in place
19 now for all transmission lines to get significant
20 structures out of the right-of-way or do you wait until
21 there's a problem?

22 MR. ZAKLUKIEWICZ: Encroachment has been an
23 ongoing problem. Legally there are arguments made when we
24 have an encroachment that the facility has been there for

HEARING RE: CL&P and UI
JULY 27, 2004

1 a number of years, thereby you allowed it and don't make
2 the owner now remove it.

3 CHAIRMAN KATZ: Yeah.

4 MR. ZAKLUKIEWICZ: Clearly where there is a
5 building being built, and we've had this before, where
6 foundations have been laid, we have stopped construction
7 where we recognized it was in the right-of-way.

8 CHAIRMAN KATZ: Yeah.

9 MR. ZAKLUKIEWICZ: But our control over
10 garages, sheds, swimming pools, in some cases decks, or
11 extensions of decks around swimming pool areas in
12 particular are a problem. Before we do our survey,
13 they're already there.

14 CHAIRMAN KATZ: Yeah. Mr. Stone, did you
15 have a specific structure in Orange that you want to
16 pursue --

17 MR. STONE: Well, I --

18 CHAIRMAN KATZ: -- that the Council should
19 know about?

20 MR. STONE: My next question was how many
21 of these potential structures are there in the Town of
22 Orange that might be within the right-of-way. But I can
23 tell that since we don't know how many there are, we're
24 not going to know the answer to that question either --

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: Okay --

2 MR. STONE: -- but I certainly would like
3 to know that -- or actually not how many maybe, but how
4 many actually are.

5 CHAIRMAN KATZ: Well if at some future
6 point you come back with a specific structure in mind in
7 Orange that may be in the right-of-way, then we'll -- why
8 don't we pursue it at that point.

9 MS. BARTOSEWICZ: Chairman Katz, just so we
10 all know, you know, in order to truly determine that, you
11 would have to -- there would have to be survey work done -
12 -

13 CHAIRMAN KATZ: Right --

14 MS. BARTOSEWICZ: -- so that's --

15 CHAIRMAN KATZ: -- yeah --

16 MS. BARTOSEWICZ: Just so we're all on the
17 same page.

18 MR. ASHTON: I think, Madam Chairman, it
19 would be helpful if there was a specific question about a
20 structure, and the Town go to the utility and ask -- and
21 work it out on that basis.

22 CHAIRMAN KATZ: Right.

23 AUDIO TECHNICIAN: Mr. Ashton, could you
24 just move that microphone --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. ASHTON: For the Council to make a
2 determination of whether it is or isn't --

3 CHAIRMAN KATZ: Right --

4 MR. ASHTON: -- I think it would be --

5 MR. STONE: I don't --

6 MR. TAIT: My --

7 MR. STONE: -- I don't know if there are
8 any at issue --

9 CHAIRMAN KATZ: Okay --

10 MR. STONE: -- because I just heard the
11 testimony today, but I will inquire and ask --

12 MR. TAIT: The homeowners may not want that
13 because in my town there are things built there that they
14 never tell the building inspector, particularly swimming
15 pools, sheds and porches --

16 MR. ASHTON: And the assessor --

17 MR. TAIT: -- do-it-yourself gets many
18 things beyond the town's knowledge.

19 MR. STONE: It sounds like my town too.
20 Thank you, I have no further questions.

21 CHAIRMAN KATZ: Thank you. I think this is
22 a good time to take our break. During the break I ask
23 that the witnesses look into that Eisenhower Park thing
24 and we'll have a report back after the break. And let's

HEARING RE: CL&P and UI
JULY 27, 2004

1 resume at 3:10.

2 (Whereupon, a short recess was taken.)

3 CHAIRMAN KATZ: In a moment we're going to
4 have Dr. Bailey report on Eisenhower Park, but I want to
5 throw out just a hypothetical perhaps so you can report
6 back on -- my famous hypotheticals --

7 A VOICE: (Indiscernible) -- they're
8 cringing --

9 CHAIRMAN KATZ: Yes, I know. This is where
10 we get out the defibrillator.

11 If, hypothetically, the buffer zone -- the
12 Health Department mentioned that there is no safe level of
13 EMFs, but they mentioned -- one of the numbers they
14 mentioned as a -- it was three milligausses. If the
15 buffer zone was -- the edges were three -- had to be three
16 milligausses or less, do you have an idea of how many --
17 what are we calling them, statutory --

18 MS. RANDELL: Facilities --

19 CHAIRMAN KATZ: -- facilities --

20 MS. BARTOSEWICZ: Adjacent to the buffer
21 zone --

22 CHAIRMAN KATZ: -- adjacent to the right-
23 of-way -- adjacent to the buffer zone would be impacted?

24 MS. BARTOSEWICZ: We can -- we can do that

HEARING RE: CL&P and UI
JULY 27, 2004

1 look for you.

2 CHAIRMAN KATZ: Okay. And we'll talk about
3 that tomorrow? Would that be possible?

4 DR. BAILEY: No --

5 MR. CRETELLA: No --

6 (Laughter)

7 DR. JOHNSON: No --

8 MS. RANDELL: That was a joke --

9 (Multiple voices overlapping,
10 indiscernible)

11 CHAIRMAN KATZ: We'll talk about that in
12 the future.

13 MR. FITZGERALD: And --

14 CHAIRMAN KATZ: Yes?

15 MR. FITZGERALD: Recently Dr. Ginsberg
16 testified in another proceeding and he was asked to
17 characterize the testimony that he gave to the Siting
18 Council --

19 CHAIRMAN KATZ: Yes --

20 MR. FITZGERALD: -- and he once again used
21 -- and I don't mean to subscribe to this, but he used the
22 6 milligauss figure as being -- he gets there by
23 multiplying 3 by 2 --

24 CHAIRMAN KATZ: Two-fold is what he

HEARING RE: CL&P and UI
JULY 27, 2004

1 testified to us -- 6 milligausses was a two-fold 3
2 milligauss reading. If you'd like to present something at
3 6 milligausses, we'll --

4 MR. TAIT: Why not do them both --

5 CHAIRMAN KATZ: Do both.

6 MR. TAIT: Would it be double the effort or
7 while you're --

8 MR. FITZGERALD: Well -- yeah, I mean once
9 -- it's -- yeah, it's a big -- it's --

10 MR. TAIT: Okay --

11 MR. FITZGERALD: Well --

12 A VOICE: (Indiscernible) --

13 MR. FITZGERALD: -- no, that can be done
14 because it can be done for the proposed route because
15 we've given you that table already that has -- that has
16 values at 15 --

17 CHAIRMAN KATZ: Yeah --

18 MR. FITZGERALD: -- and we also have -- so
19 that could be done almost overnight --

20 CHAIRMAN KATZ: Okay --

21 MR. FITZGERALD: -- I think.

22 CHAIRMAN KATZ: Well, we'll give that as a
23 homework assignment and we'll ask you to do 3
24 milligausses. And if you want to do another case, feel

HEARING RE: CL&P and UI
JULY 27, 2004

1 free. Yes?

2 MR. KENNETH ROSENTHAL: Chairman Katz, Ken
3 Rosenthal --

4 CHAIRMAN KATZ: Yeah, can we get your mic
5 up -- just a second, Mr. Rosenthal --

6 MR. ROSENTHAL: -- representing the
7 Woodbridge educational organizations --

8 CHAIRMAN KATZ: Yes --

9 MR. ROSENTHAL: -- Ken Rosenthal. When
10 this calculation is being done, there's going to be
11 testimony from Dr. Bell tomorrow, it's in our submitted
12 testimony I guess, that .6 milligauss is the ambient
13 background at which this should be -- that that's what the
14 buffer zone should provide. So if there's going to be a
15 calculation done, it's our position that there should be a
16 calculation done on that as well so we can see -- so that
17 the Siting Council will have data that we'll be able to
18 compare with what we're talking about if that in fact is
19 the proper level, and there's evidence from which you may
20 conclude that.

21 CHAIRMAN KATZ: Okay, so you're making that
22 request of the Applicant?

23 MR. ROSENTHAL: I am.

24 CHAIRMAN KATZ: Mr. Fitzgerald.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. FITZGERALD: Well, my -- maybe -- my
2 client can correct me if I'm wrong here, but I think what
3 we have given you in Dr. Bailey's testimony, Exhibit 2 has
4 calculated magnetic field values at the 15.5 -- at the 15-
5 gigawatt case at each of the statutory facilities that
6 we've identified. Now, with those values one can look at
7 the numbers and see how many of them are above 3 or how
8 many are above 6 or how many are above .6, it's there. So
9 --

10 MS. BARTOSEWICZ: I mean I --

11 MR. FITZGERALD: Isn't that right?

12 MS. BARTOSEWICZ: Correct. If you look at
13 Exhibit 2, I can walk you through the table and it's easy
14 to identify the statutory facilities adjacent to the
15 buffer zone on the proposed route. We can walk through
16 Dr. Bailey's Exhibit 2 and it's easy to identify which
17 ones are at or below the 3 milligauss and which one's
18 aren't. So that information is contained in this
19 document.

20 MR. ROSENTHAL: At what -- is that at the
21 15-gigawatt load?

22 A VOICE: Yes. And --

23 MS. BARTOSEWICZ: Yes, it is --

24 MR. ROSENTHAL: Well, that's the problem --

HEARING RE: CL&P and UI
JULY 27, 2004

1 A VOICE: And --

2 MS. BARTOSEWICZ: And -- and at the 27.7.
3 You can find both pieces of information on Exhibit 2 of
4 Dr. Bailey's testimony.

5 CHAIRMAN KATZ: Mr. Rosenthal, what I think
6 I'm going to do is I'm going to take your request under
7 advisement and we'll wait until after tomorrow's
8 testimony.

9 MR. ROSENTHAL: Great.

10 MS. BARTOSEWICZ: So what I could probably
11 do tonight is just look at this chart and add up the
12 numbers and give you a report in the morning.

13 CHAIRMAN KATZ: Thank you. Okay, at this
14 point before we resume cross-examination, Dr. Bailey, if
15 you want to report back on Eisenhower Park. Were you able
16 to come to a consensus on -- are you talking about apples
17 and apples now?

18 MS. RANDELL: Madam Chairman --

19 CHAIRMAN KATZ: Yes? Miss Kohler, I'm
20 going to ask you if you want to come back up too. Yes?

21 MS. RANDELL: Dr. Bailey will start and
22 then Mr. Cretella --

23 CHAIRMAN KATZ: Fine --

24 MS. RANDELL: -- can pick up --

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: Great --

2 MS. RANDELL: -- with maps.

3 CHAIRMAN KATZ: Okay.

4 MS. RANDELL: And for those who are
5 following at home, it's Segment 42 on the 1 to 400's.

6 CHAIRMAN KATZ: Okay. Miss Kohler, you can
7 sit over here if you'd rather.

8 MS. KOHLER: Oh, thank you.

9 CHAIRMAN KATZ: Okay. So Dr. Bailey, I'm
10 going to ask you to give a report, and then if Milford has
11 a follow-up question, we'll allow that. Okay?

12 DR. BAILEY: Yes.

13 CHAIRMAN KATZ: The both of you can give a
14 report.

15 DR. BAILEY: The first point I would like
16 to make, as I had said before, is that the locations where
17 measurements were made is a different reference point than
18 where calculations were made. In order to understand all
19 of the references to this ballfield, you have to go back
20 first to Attorney General -- response to a Attorney
21 General request, AG-01, and in that response it identifies
22 a distance to the edge of the right-of-way of zero feet.
23 And that was later referenced in AG-02 as the locations
24 where calculations were made. So the calculations in AG-

HEARING RE: CL&P and UI
JULY 27, 2004

1 02 were made at zero feet from the right-of-way. And
2 we're talking about an area identified as playground in
3 AG-01 or bleachers/playground in AG-02 which is on the
4 northwest side of the right-of-way, and that's in Segment
5 42.

6 In Exhibit 2 the reference in P -- Facility
7 P-48 for ballfield now is defined by the statute. And so
8 this distance was on the south edge of the right-of-way to
9 a ballfield where the -- essentially the homerun fence was
10 closest to the edge of the right-of-way, and that was 175
11 feet from the right-of-way. So with regard to AG-02 and
12 AG -- and Exhibit 2, there are differences in terms of
13 distance from the right-of-way, there are differences on
14 which side of the right-of-way they are.

15 CHAIRMAN KATZ: Where in Eisenhower Park is
16 the peak milligauss?

17 MR. CRETELLA: The peak -- the right -- the
18 right-of-way passes through --

19 DR. BAILEY: The peak is on the right-of-
20 way --

21 MR. CRETELLA: -- it's going to be directly
22 under the lines.

23 CHAIRMAN KATZ: I'm sorry, I didn't ask the
24 question -- what is underneath the lines at the peak,

HEARING RE: CL&P and UI
JULY 27, 2004

1 directly underneath the lines?

2 MR. FITZGERALD: You mean at the peak load?

3 CHAIRMAN KATZ: Yes -- no, I'm saying --

4 MR. TAIT: What facility?

5 CHAIRMAN KATZ: What facility is directly
6 under the lines? We're assuming that the lines have the
7 highest directly underneath --

8 MR. FITZGERALD: Okay --

9 DR. BAILEY: The --

10 CHAIRMAN KATZ: What is --

11 DR. BAILEY: The right-of-way passes sort
12 of -- you know, there's -- there's this large park and
13 there are facilities within the park and it bypasses to
14 the north, it bypasses the softball field, and there are
15 other facilities to the south. And then it goes through
16 an area that -- when we were out there, there were some
17 bleachers and we saw someone riding through the park on
18 horses. And it's just an open area. And at the time we
19 took those measurements for AG-01, we had used data that
20 we had taken as part of preparation for the application.
21 So the highest fields would be on the right-of-way that
22 runs through this park. In terms of the values that are
23 shown in these tables, the highest values would be those
24 used for calculations in AG-02 at the edge of the right-

HEARING RE: CL&P and UI
JULY 27, 2004

1 of-way.

2 MS. BARTOSEWICZ: Chairman Katz, let me try
3 something else. Exhibit 1 to Dr. Bailey's testimony --
4 and one of the reasons we did it this way was so no matter
5 where you wanted to -- where you wanted to be or where you
6 thought you were going to be and you wanted to know what
7 the magnetic field was, you could go to this table if you
8 knew how many feet you were away from the edge of the
9 right-of-way --

10 CHAIRMAN KATZ: Okay --

11 MS. BARTOSEWICZ: -- and you could figure
12 it out. So that we knew there were hundreds and hundreds
13 of places where somebody might want to know where you were
14 and what the field would be. So if you go to his -- if
15 you go to Exhibit 1 of his testimony and you look at
16 cross-section -- 8?

17 DR. BAILEY: 8 South.

18 MS. BARTOSEWICZ: 8 South, which is page 26
19 of 26, you can see those tables provide you calculations
20 for both existing, proposed, and the two EMF mitigation
21 options that we showed this morning, and one can determine
22 from this chart, however far you are from the edge of the
23 right-of-way, any place in the park you can figure out
24 what the magnetic field level would be.

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: Okay. Miss Kohler, did
2 that help?

3 MS. KOHLER: It does. Let me just say two
4 things in response to that. (1) I think -- and when you
5 talk about what is under the right-of-way or what's near
6 the right-of-way -- as you may know, Eisenhower Park is
7 the largest open space area in Milford and I believe
8 during the municipal consultation period the Applicants
9 were advised that the Eisenhower Park Committee is
10 proposing day camps, a children's day camp, a swimming
11 pool, a kiddy pool, and to make further use of the park.

12 And secondly, in regard to this issue about
13 the softball fields, Mr. Cretella and I spoke about it,
14 and let me tell you what the issue is and let me tell you
15 what the resolution is. When they did AG-2 --

16 CHAIRMAN KATZ: Maybe we need him to
17 testify what that is.

18 MR. FITZGERALD: I think -- well, he can
19 say -- she can make a statement and then he can confirm
20 it.

21 CHAIRMAN KATZ: Okay, fair enough.

22 MS. KOHLER: When the companies did AG-2,
23 they identified two spots in Eisenhower Park, the first
24 being Eisenhower Park bleachers/playing field and the

HEARING RE: CL&P and UI
JULY 27, 2004

1 second being Eisenhower Park softball fields,
2 park/playground. Eisenhower Park, the first one -- let's
3 say Eisenhower Park 1 and Eisenhower Park 2 -- Eisenhower
4 Park Location 1 they did apparently at the edge of the
5 right-of-way because that ballfield is closer to the
6 right-of-way. Eisenhower Park 2 they note in the AG's
7 table measurement recorded Eisenhower Park at a closer
8 location, see location 20. So they decided not to do
9 measurements at the second location, the 175-foot location
10 because there was a ballfield that was closer to the line.
11 When they completed Exhibit 2 to Dr. Bailey's testimony,
12 they did the Eisenhower Park ballfield that was 175 feet
13 away from the line because they concluded or made a
14 determination that the one that was closer to the line was
15 not a facility under the statute.

16 I think we have a disagreement as to
17 whether it is a facility or not a facility. I think the
18 ballfield is a facility and I think -- I disagree with the
19 conclusion. However, Mr. Cretella has agreed to do -- to
20 provide calculations for that other Eisenhower Park
21 location as well.

22 CHAIRMAN KATZ: Okay.

23 MS. BARTOSEWICZ: And my comment is you
24 have that calculation already --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. CRETELLA: You have the calculation --

2 MS. BARTOSEWICZ: -- page 26 of 26 of this
3 exhibit provides you with that information.

4 MS. KOHLER: I understand that, but given
5 the sensitivity of that area and the fact that I at least
6 consider it to be a facility and think it is within the
7 statute, I think that rather than basing that on a 12-mile
8 segment, the City of Milford would prefer to have a site
9 specific calculation done. And I think you've agreed to
10 do it, so I don't have an issue with --

11 CHAIRMAN KATZ: Okay. How is CL&P
12 interpreting playgrounds from the statute? Not including
13 ballfields?

14 MR. CRETELLA: No, the -- the way we've
15 attempted to identify what are characterized as public
16 playgrounds in the statute was that they had to be a
17 facility that is non-private, i.e. open to the public, and
18 that it must possess equipment or facilities where
19 children would or could congregate, i.e. jungle gyms, see-
20 saws, swings --

21 CHAIRMAN KATZ: Bases --

22 MR. CRETELLA: -- a ballfield --

23 CHAIRMAN KATZ: Bases --

24 MR. CRETELLA: -- an active ballfield.

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: Okay. And your -- it's
2 your testimony that this is not an active ballfield?

3 MR. CRETELLA: It -- in our opinion the
4 facility that was measured in AG-02 is not an active
5 ballfield.

6 CHAIRMAN KATZ: Okay. It's an inactive --
7 well, how would describe it --

8 MR. CRETELLA: Well, if it has --

9 CHAIRMAN KATZ: -- is it an inactive
10 ballfield?

11 MR. CRETELLA: If it has a backstop around
12 it and it has bases and it looks like the grass is mowed
13 and that people have used it, we would consider that to be
14 an active ballfield.

15 CHAIRMAN KATZ: Okay.

16 MR. CRETELLA: The other facility where the
17 bleachers are where the original measurements were taken
18 is not in that condition.

19 CHAIRMAN KATZ: What are the bleachers
20 serving if they're not serving a ballfield?

21 MR. CRETELLA: The last time I was there,
22 it looked like the bleachers were sitting out in the
23 middle of opened mowed grass.

24 CHAIRMAN KATZ: Okay. Why don't at some

HEARING RE: CL&P and UI
JULY 27, 2004

1 point we get some photos so that at the point if the
2 Council has to determine if this is a statutory facility
3 or not, maybe that will be helpful, okay.

4 MR. ASHTON: Mr. Cretella, in your
5 definition of a public facility does seasonal use come
6 into it as opposed to year-round use?

7 MR. CRETELLA: Could you be a little more
8 specific --

9 MR. ASHTON: Okay --

10 MR. CRETELLA: -- in what you're referring
11 to?

12 MR. ASHTON: Let's assume just for --

13 A VOICE: Ice-skating --

14 MR. ASHTON: Yeah, an ice-skating rink on
15 one hand --

16 CHAIRMAN KATZ: Right --

17 MR. ASHTON: -- versus a track on the other
18 --

19 MR. TAIT: A swimming pool --

20 MR. CRETELLA: No --

21 MR. ASHTON: -- where a track presumably
22 gets use year-round or close to it versus the ice-skating
23 rink, which gets use for those months where you can freeze
24 -- the ice freezes -- or water freezes?

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. CRETELLA: In our interpretation of
2 this we did not encounter anything like ice-rinks or
3 tracks that were adjacent to the right-of-way. The only
4 facilities that we did identify that were close enough
5 were -- or to be considered under the statute as being
6 adjacent were baseball fields.

7 MR. TAIT: No -- no pools -- no municipal
8 pools?

9 MR. CRETELLA: Uh --

10 MR. TAIT: A swimming pool?

11 MR. CRETELLA: Again, the facility -- no.
12 To the best of my knowledge, no.

13 MR. TAIT: If they had been, you would have
14 included it?

15 MR. CRETELLA: Yes. Yes.

16 CHAIRMAN KATZ: Okay -- well, we invite the
17 City of Milford to pursue this if they wish. Okay --

18 MR. CRETELLA: And as an example, the JCC
19 is a privately owned facility, it's not a public
20 playground, but it is a licensed youth camp and is
21 identified as a licensed youth camp under the buffer zone
22 statutory facilities. But if it did not have a licensed
23 youth camp, it would not be included.

24 CHAIRMAN KATZ: But is the fact that

HEARING RE: CL&P and UI
JULY 27, 2004

1 membership is open to the public not a factor then is what
2 you're saying?

3 MR. TAIT: Now we're arguing the definition
4 --

5 CHAIRMAN KATZ: Well -- yes, you're right.

6 MR. CRETELLA: Again, I -- I think from our
7 perspective guidelines from the Council would be extremely
8 helpful --

9 CHAIRMAN KATZ: Yes --

10 MR. CRETELLA: -- for us to determine how
11 to apply the statute language.

12 CHAIRMAN KATZ: Yes. Well, I guess -- just
13 -- I encourage you to look at the spirit of what they were
14 trying to cover as opposed to the --

15 MR. CRETELLA: I believe we did try to --

16 CHAIRMAN KATZ: Okay --

17 MR. CRETELLA: -- look at the spirit of
18 what was there in our identifying what we believe to be
19 the statutory facilities adjacent to the right-of-way.

20 CHAIRMAN KATZ: Okay. And again, we invite
21 everyone to brief on this matter of what should be the
22 statutory facilities.

23 Okay, does that conclude Eisenhower Park?
24 And I think we're ready to go back to Mr. Boucher. Here?

HEARING RE: CL&P and UI
JULY 27, 2004

1 Absent? Is there anyone representing Durham/Wallingford?

2 A VOICE: No questions.

3 CHAIRMAN KATZ: No questions, thank you.

4 Next Westport. Is Mr. Cederbaum here?

5 A VOICE: No.

6 CHAIRMAN KATZ: The City of Meriden,
7 Attorney Moore? Assistant Attorney General Michael
8 Wertheimer.

9 MR. FITZGERALD: Madam Chairman --

10 CHAIRMAN KATZ: Yes?

11 MR. FITZGERALD: -- while Mr. Wertheimer is
12 coming up, I'd like to let the Council know that we now
13 have the copies of the -- of this morning's presentation
14 slides and --

15 CHAIRMAN KATZ: Great. And you'll pass
16 those out? And do you want to verify those right now
17 while he's getting settle in?

18 MR. FITZGERALD: Could we do that? Could
19 we give it a number, Mr. Cunliffe?

20 CHAIRMAN KATZ: Mr. Cunliffe.

21 A VOICE: 155 --

22 MR. CUNLIFFE: Subject to check --

23 CHAIRMAN KATZ: Okay, while he's getting
24 settled in, why don't we have your witness verify that

HEARING RE: CL&P and UI
JULY 27, 2004

1 exhibit.

2 A VOICE: 136 --

3 MR. FITZGERALD: Miss Bartosewicz, the
4 document that's been marked as Exhibit 136 --

5 MR. CUNLIFFE: 136.

6 MR. FITZGERALD: 136 purports to be a copy
7 of the slides that you showed in this morning's magnetic
8 field transmission design options presentation. And is it
9 a true copy of the documents that you presented this
10 morning and testified about already?

11 MS. BARTOSEWICZ: Yes, it is.

12 MR. FITZGERALD: I offer it as a full
13 exhibit.

14 CHAIRMAN KATZ: Is there any objection to
15 making it a full exhibit, No. 136, a copy of this
16 morning's presentation? Hearing none, it will be a full
17 exhibit.

18 (Whereupon, Applicants' Exhibit No. 136 was
19 received into evidence as a full exhibit.)

20 CHAIRMAN KATZ: Okay. Mr. Wertheimer.

21 MR. MICHAEL WERTHEIMER: Michael Wertheimer
22 for the Office of the Attorney General. Good afternoon.

23 I'd like to start with the presentation, a
24 copy of which was just handed out, and follow up on some

HEARING RE: CL&P and UI
JULY 27, 2004

1 questions from Attorney Kohler on this. Dr. Bailey, as I
2 understand it you went over a couple of different
3 techniques to mitigate EMF in this presentation, is that
4 right?

5 DR. BAILEY: These refer to the strategies
6 that are also described in my testimony and have been
7 discussed elsewhere.

8 MR. WERTHEIMER: Okay. And just to review,
9 you can alternate pole heights, you can do split-phasing,
10 and there's optimized split-phasing and then there's also
11 where you can put the 115 and the 345 on the same pole --

12 DR. BAILEY: Yes --

13 MR. WERTHEIMER: -- those are kind of the -
14 -

15 DR. BAILEY: Or relocation.

16 MR. WERTHEIMER: Or relocation, sure.

17 Let's just talk -- set aside relocation for a minute.

18 CHAIRMAN KATZ: Just before you proceed,
19 we're just going to have a clarifying question if we
20 could.

21 MR. EMERICK: With respect to split-
22 phasing, we keep mentioning it, but then sometimes we talk
23 about optimized split-phasing. And I just want to make
24 sure that when we're -- and based on the presentation this

HEARING RE: CL&P and UI
JULY 27, 2004

1 morning, they're clearly two different strategies, at
2 least in my mind. But we see on these strategies split-
3 phasing isn't mentioned, but optimized split-phasing is.
4 So, I just want to be clear that we know what we're
5 talking about when we talk --

6 CHAIRMAN KATZ: Is there a difference?

7 MR. EMERICK: Or let me ask it another way.
8 If you decided that you wanted to use split-phasing, is
9 there some reason why you just automatically wouldn't go
10 to optimized split-phasing --

11 DR. BAILEY: If you --

12 MR. EMERICK: -- so that --

13 DR. BAILEY: -- if you did the split-
14 phasing design, you would then go further and make sure
15 that it was optimized to produce the lowest magnetic field
16 for the conditions you were interested in modeling.

17 MR. EMERICK: So in the record where we
18 talked about split-phasing, we can always interpret that
19 to mean that we would go to optimized split-phasing?

20 DR. BAILEY: I believe so. That's -- that
21 would be -- that would be a fair assumption. You know in
22 the video we showed that just splitting the phases --

23 MR. EMERICK: Right --

24 DR. BAILEY: -- without any optimization

HEARING RE: CL&P and UI
JULY 27, 2004

1 resulted in some lowering in the field, but you could go
2 further by optimizing the phasing.

3 MR. EMERICK: But once you started down the
4 road of wanting to mitigate it --

5 DR. BAILEY: Right --

6 MR. EMERICK: -- assumingly you'd go to
7 optimization?

8 DR. BAILEY: Right.

9 MR. EMERICK: Okay, good. Thank you.

10 CHAIRMAN KATZ: Okay.

11 MR. TAIT: But in your testimony you have
12 some -- but in your testimony and others when they talk
13 about split-phasing, they aren't always referring to
14 optimizing split-phasing. The danger is I don't want to
15 have Brian say that there is one definition that fits all.
16 I don't think there is. I think the testimony has
17 sometimes been just talking about split-phasing --

18 DR. JOHNSON: Well --

19 MR. TAIT: -- or sometimes -- how do you
20 say it -- optimizing a reverse split-phasing. The
21 technique to -- that you were talking about this morning
22 was optimizing it, which is CBA rather than -- so, I think
23 we ought to stick with optimizing and not go back just to
24 split-phasing.

HEARING RE: CL&P and UI
JULY 27, 2004

1 DR. JOHNSON: I think if everyone is
2 careful to make sure they say optimized split-phase from
3 here on out, that's always the safest --

4 MR. TAIT: Yes.

5 CHAIRMAN KATZ: Yes.

6 DR. JOHNSON: I would comment that for the
7 purposes of the video this morning, we used the term
8 split-phase meaning just splitting the currents and then
9 optimize split-phase so that once you split the currents,
10 then you look at changing the phasing to get your absolute
11 best results from it. So just in terms of clarification
12 this morning, yes, we used split-phase and optimized
13 split-phase. I think -- and the rest of the panel can
14 disagree or agree with me, but up until the point of this
15 morning, anytime the phrase split-phase had been used, up
16 until the video this morning, I think it was always in the
17 case of doing that optimized situation.

18 MR. EMERICK: Okay.

19 CHAIRMAN KATZ: Mr. O'Neill --

20 DR. BAILEY: The explanation was put in
21 there in the video so you could understand the process,
22 you know, to distinguish splitting the phases physically
23 from the phasing just for explanatory purposes.

24 CHAIRMAN KATZ: Thank you. Mr. O'Neill.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. O'NEILL: You did a fine job with your
2 presentation and I appreciate the model that you did. One
3 of the questions which hasn't yet been asked is the
4 doubling of the costs in some of these segments. Is there
5 additional equipment that's needed? And where else has
6 this equipment been used on a project of this size, if
7 anywhere? Well, I'm assuming that --

8 MS. BARTOSEWICZ: Essentially, the
9 increased costs relates to the additional conductors
10 required, the size of the pole, the --

11 MR. ZAKLUKIEWICZ: The size of the
12 foundation --

13 MS. BARTOSEWICZ: -- the size of the
14 foundation. As Mr. Zak testified, the bigger the pole,
15 the bigger the foundation. So these costs are,
16 essentially, the numbers that you see in this
17 presentation, unless you're putting a 115 underground, are
18 based on that. If you see an alternative that has the
19 115-kV going underground, then you should see a much
20 larger cost differential than just the cost of the
21 conductors and the pole and the foundation.

22 MR. O'NEILL: Are these fairly hard numbers
23 or are these theoretical?

24 MS. BARTOSEWICZ: They're high level based

HEARING RE: CL&P and UI
JULY 27, 2004

1 on what was filed in the application already.

2 CHAIRMAN KATZ: Thank you.

3 MR. O'NEILL: Thank you.

4 CHAIRMAN KATZ: Mr. Cunliffe.

5 MR. CUNLIFFE: Just to follow-up on the
6 terminology, there's a number of tables and some of the
7 terminology is used, optimized, and then there's a lot of
8 other locations where the term split-phase is. What is
9 the -- what are the results of your calculations based on?
10 Are they all split-phase, optimized, or is there a mix?

11 DR. BAILEY: As Dr. Johnson mentioned,
12 everywhere up until the video where you saw the term
13 split-phase, we had in mind optimized split-phase.

14 MR. CUNLIFFE: And all the data is
15 calculated with split-phase in mind?

16 DR. BAILEY: With optimized --

17 MR. CUNLIFFE: Optimized --

18 DR. BAILEY: -- split-phase, yes.

19 MR. CUNLIFFE: Okay. Thank you.

20 CHAIRMAN KATZ: Okay. Back to your, Mr.
21 Wertheimer.

22 MR. WERTHEIMER: Thank you. Mr.
23 Zaklukiewicz, you also testified that in order to go from
24 conventional phasing to split-phasing would take about one

HEARING RE: CL&P and UI
JULY 27, 2004

1 to two structures on each end to make that transition, is
2 that right?

3 MR. ZAKLUKIEWICZ: Yes, I did.

4 MR. WERTHEIMER: And you also testified to
5 Attorney Kohler that going from 110-foot split-phasing to
6 130-foot split-phasing should be no problem, right?

7 MR. ZAKLUKIEWICZ: Yes, I did.

8 MR. WERTHEIMER: Okay. Can you describe
9 for me or tell me whether there are any limitations,
10 structural, technological limitations on going from one of
11 these mitigation techniques to another in the same
12 segment?

13 MR. FITZGERALD: Excuse me, what ----

14 MR. WERTHEIMER: By going from --

15 MR. FITZGERALD: Which of the two that
16 you're talking about?

17 MR. WERTHEIMER: Any of them. If split-
18 phasing works well in one place but then putting the 115
19 and 345 on another pole works well further down the road,
20 is there some technological reason that you could or could
21 not do -- that you could not do that?

22 MR. ZAKLUKIEWICZ: I think -- I think I
23 testified the only place where that may not be possible is
24 where you've got severe angles --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. WERTHEIMER: Right --

2 MR. ZAKLUKIEWICZ: -- there may be
3 limitations on going from a split-phase say to two
4 separate vertical structures. Those would be the only
5 limitations. But if you were in a straight right-of-way,
6 you would probably have to take a couple of different
7 structures, and it may be that you've got to go from a
8 split-phase to a horizontal and back to a vertical to get
9 there, but those would be in this -- in this two
10 structures that I think you need in most cases to go from
11 one to the other, Mr. Wertheimer.

12 MR. WERTHEIMER: Okay. So other than a
13 distance of transition of a couple of structures, the
14 Siting Council when considering these, can stack these up
15 one next to another to consider these options how ever
16 they want?

17 MR. ZAKLUKIEWICZ: That -- that would be a
18 fair statement.

19 MR. WERTHEIMER: Okay. Turning to this
20 presentation that was just handed out, for each cross-
21 section you give a couple of different options. For
22 example, for Cross-Section there's Option 2, Option 3,
23 Option 6, and in Cross-Section 3 there's Option 1 and
24 Option 2. Those options are completely independent from

HEARING RE: CL&P and UI
JULY 27, 2004

1 one another, is that right? Option 1 is not Option 1 for
2 each cross-section?

3 MS. BARTOSEWICZ: That's correct --

4 MR. WERTHEIMER: Okay --

5 MS. BARTOSEWICZ: -- that's why the little
6 drawings are there, to help understand how they're
7 different.

8 MR. WERTHEIMER: And when you went up to
9 Option 6, only through your list -- we don't know what the
10 other options are, but you've ruled them out?

11 MS. BARTOSEWICZ: No, you actually do know
12 what the other options are --

13 MR. WERTHEIMER: Okay --

14 MS. BARTOSEWICZ: -- we've previously filed
15 a document that listed all of them. And what we ended up
16 doing for this presentation and this filing on the
17 measurement calculation was we did ask the Towns which two
18 options they would like to see --

19 MR. WERTHEIMER: Okay --

20 MS. BARTOSEWICZ: -- and there were a
21 couple of towns that provided us that information.

22 MR. WERTHEIMER: -- I recall.

23 MR. CRETELLA: That -- that document is
24 Exhibit 96.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. WERTHEIMER: Okay. Dr. Bailey, I'd
2 like to follow up with one question on your test -- on
3 your prefiled testimony, page 7. Getting back to the same
4 statement, which you've been asked about before, about
5 where you say there may be other structures, even parts of
6 houses that have been constructed within the right-of-way,
7 do you know whether the houses that you speak of in this
8 prefiled testimony would meet the residential area
9 definition that has been applied by the Applicants in this
10 case?

11 DR. BAILEY: No. I was just referring to
12 my own observations of having seen, you know, outbuildings
13 and other structures on the aerial photographs within the
14 right-of-way.

15 MR. WERTHEIMER: So is the answer no or
16 that you don't know?

17 DR. BAILEY: I do not know specifically
18 with respect to the residential areas.

19 CHAIRMAN KATZ: I'm predicting by the end
20 of this docket you will truly regret that paragraph.

21 MR. WERTHEIMER: If, hypothetically, the
22 answer is no, that the houses that may be in the right-of-
23 way don't meet the company's criteria of a residential
24 area, then those houses would not be listed in your

HEARING RE: CL&P and UI
JULY 27, 2004

1 Exhibit 2 with your testimony, is that a fair conclusion?

2 DR. BAILEY: Yes. Exhibit 2 only provided
3 calculations for those facilities identified by the
4 companies as statutory facilities.

5 MR. WERTHEIMER: Okay.

6 DR. BAILEY: But as we pointed out
7 elsewhere that any residence that's identified on the
8 aerial photographs, one can look up the approximate field
9 value based upon the tables we've provided.

10 MR. WERTHEIMER: Can you refer to your
11 exhibit 2. And forgive me if this is in one of the
12 footnotes, but on the right-hand side of the page, there
13 are dashes instead of numerical figures --

14 DR. BAILEY: Yes.

15 MR. WERTHEIMER: -- does that indicate --
16 that indicates that you don't know or that the reading is
17 zero?

18 DR. BAILEY: It indicates that -- take for
19 example the R-01 facility, reading across there are values
20 for low field option A, low field option B. There was no
21 third low field option C identified for that section of
22 the route, Cross-Section 3. And similarly whenever you
23 see a dash is that up to three options could -- you know,
24 may have been identified, but the ones in which actual

HEARING RE: CL&P and UI
JULY 27, 2004

1 designs were put forth, either selected by the towns or
2 put forth by the company, were -- everywhere there were
3 numbers provides. Where there are dashes, no additional
4 options were identified.

5 MR. WERTHEIMER: And so that was not your
6 determination, that was based on the preference of the
7 housing area, whatever the facility is?

8 DR. BAILEY: It was based upon the
9 preferences of the town and/or determinations by the
10 company.

11 MR. WERTHEIMER: What would go under the
12 company's determination?

13 MS. BARTOSEWICZ: The company -- what was
14 the exhibit number --

15 MR. CRETELLA: It's Exhibit 96.

16 MS. BARTOSEWICZ: On Exhibit 96 what the
17 companies endeavored to do was to think out of the box, to
18 try to come up with configurations that might mitigate or
19 lower magnetic fields, and we brainstormed essentially on
20 a variety of structures. So it depends on what's there
21 today, it depends on what the new proposed 345 structure
22 would look like. It depends on the -- what the right-of-
23 way was configured to be, how wide it was. Looking at
24 those variables that we had to play with, we tried to come

HEARING RE: CL&P and UI
JULY 27, 2004

1 up with configurations that made sense. So in some cases
2 like in Cross-Section 1, you had four different
3 configurations, where in others you only had one. So it
4 really was a brainstorming session to see what we could
5 possibly do on that right-of-way.

6 CHAIRMAN KATZ: Just to ask a follow-up
7 question on that. If you took Volume 9, the overhead maps
8 -- do you know what I mean in the -- if you took that and
9 you went through each of these cross-sections and picked
10 the option that had the lowest EMFs and took that out --
11 extrapolated that out -- I'm not explaining this well --
12 extrapolated that out to 3 milligausses, which in some
13 cases will be going beyond the right-of-way, right?

14 MS. BARTOSEWICZ: Yes.

15 CHAIRMAN KATZ: Is that something that's
16 mappable, where a person can look at that 3 milligauss
17 line and make their own decision on whether that structure
18 was a statutory structure versus not a statutory
19 structure?

20 MS. BARTOSEWICZ: Uh --

21 MR. CRETELLA: In theory that might work.
22 One of the difficulties is that in some of the EMF --
23 lowering EMF design options, it's lower on one side of the
24 right-of-way but a little higher on the other --

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: Right, so -- I mean --

2 MR. CRETELLA: -- so when you say choose
3 the lowest --

4 CHAIRMAN KATZ: The lowest for each side --

5 MS. BARTOSEWICZ: You can't --

6 MR. CRETELLA: You can only choose one.
7 You can't --

8 CHAIRMAN KATZ: Oh, I see what you're
9 saying, yes --

10 MR. CRETELLA: You can only choose one
11 option --

12 CHAIRMAN KATZ: Yes -- no, I understand
13 what you mean, yes.

14 MR. CRETELLA: Yeah.

15 MS. BARTOSEWICZ: And my other question I
16 guess would be you said -- are you defining statutory
17 facility at some level?

18 CHAIRMAN KATZ: No. What I'm saying is if
19 we -- if we want to look at what structures are there and
20 make our own decision on whether we think it's a statutory
21 -- for example, there might be a group of three houses
22 that you didn't consider a statutory facility, we might
23 want to think otherwise, what you could do is take the
24 milligausses that are the lowest option for the side that

HEARING RE: CL&P and UI
JULY 27, 2004

1 has the most structures -- do you see what I'm saying --

2 MS. BARTOSEWICZ: So you want us to figure
3 out throughout the entire length of the right-of-way which
4 structure provides the --

5 CHAIRMAN KATZ: Well in most cases most of
6 the structures will be either on one side or the other,
7 right, of the line?

8 MS. BARTOSEWICZ: I guess I'm --

9 MR. CRETELLA: By most structures, you mean
10 most houses --

11 CHAIRMAN KATZ: Yes --

12 MR. CRETELLA: -- residential areas?

13 CHAIRMAN KATZ: Right.

14 MR. CRETELLA: In a lot of places the
15 facilities border on both sides --

16 CHAIRMAN KATZ: Okay --

17 MR. CRETELLA: -- of the right-of-way.

18 CHAIRMAN KATZ: So it might not be doable?

19 MR. CRETELLA: It would be -- it would be
20 challenging to try to make that determination as to which
21 option you would choose on that basis.

22 COURT REPORTER: One moment please.

23 (Pause). Thank you.

24 MR. FITZGERALD: But --

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: It seems like Volume 9 is a
2 resource that we can perhaps use more in making these
3 types of decisions because it is a good overhead view of
4 the different houses and schools and things near the line.
5 Yes?

6 MR. FITZGERALD: I would point out that
7 Exhibit 96 --

8 CHAIRMAN KATZ: Yes --

9 MR. FITZGERALD: -- does show you
10 calculated values in 15-foot increments --

11 CHAIRMAN KATZ: Yes --

12 MR. FITZGERALD: -- out from the edge of
13 the right-of-way for the different configurations. So
14 that if you had the overhead map and scale --

15 CHAIRMAN KATZ: Yeah, I think I might try
16 to do my own --

17 MS. BARTOSEWICZ: Well --

18 MR. FITZGERALD: -- and you were interested
19 in a particular location, you can get some information
20 that way.

21 CHAIRMAN KATZ: I think what I'm going to
22 do is I'm going to take Exhibit 96 and I'm going to take
23 Volume 9 --

24 MR. FITZGERALD: I'm sorry, it's Bailey

HEARING RE: CL&P and UI
JULY 27, 2004

1 Exhibit 1 --

2 CHAIRMAN KATZ: Bailey 1?

3 MS. BARTOSEWICZ: Yeah --

4 CHAIRMAN KATZ: What is that in real
5 hearing program numbers?

6 MR. FITZGERALD: That is --

7 MS. RANDELL: 124.

8 CHAIRMAN KATZ: 124. I might pick a town,
9 try it myself, and then if I think it's doable, I'll come
10 back and talk to you. Okay, back to you.

11 MR. WERTHEIMER: Thanks. Dr. Bailey, a
12 final minor question. On page 2 of Exhibit 2 to your
13 testimony, the second line of DC-81 --

14 DR. BAILEY: Um-hmm.

15 MR. WERTHEIMER: -- the omission of dashes
16 on the right-hand side has no particular significance or
17 does it?

18 DR. BAILEY: Let me double check -- (pause)
19 -- that's correct. Only two options were identified on
20 that cross-section as shown in Exhibit 1 --

21 MR. WERTHEIMER: Okay --

22 DR. BAILEY: -- so those -- there should be
23 dashes there.

24 MR. WERTHEIMER: Thank you. Dr. Johnson,

HEARING RE: CL&P and UI
JULY 27, 2004

1 you testified this afternoon that -- I think you said if a
2 line has current, it has magnetic field, do you recall
3 that statement?

4 DR. JOHNSON: Could you repeat that?

5 MR. WERTHEIMER: You said if a line has
6 current, it has a magnetic field --

7 DR. JOHNSON: Oh --

8 MR. WERTHEIMER: -- I think you were
9 talking about -- do you recall that?

10 DR. JOHNSON: Yes. Basically, anything
11 with a current running through it will produce a magnetic
12 field.

13 MR. WERTHEIMER: You were talking about the
14 difference between XLPE and HPPF technology, is that
15 right?

16 DR. JOHNSON: I think that was in reference
17 to other types of newer conductors, different conductors
18 that may be low field conductors.

19 MR. WERTHEIMER: You're talking about
20 alternating current technology, right?

21 DR. JOHNSON: Alternating current, direct
22 current, if there is current, there is a magnetic field.

23 MR. WERTHEIMER: Isn't there a difference
24 in the magnetic fields generated by DC lines versus AC

HEARING RE: CL&P and UI
JULY 27, 2004

1 lines?

2 DR. JOHNSON: A DC line since it has direct
3 current will produce what's called like a static or
4 constant magnetic field. It doesn't oscillate 60 times a
5 second --

6 MR. WERTHEIMER: Alright --

7 DR. JOHNSON: -- like the magnetic -- like
8 an AC magnetic field from AC current. Basically, the
9 oscillating magnetic field is a reflection of the
10 oscillating current. If the current is steady as in DC,
11 the magnetic field is steady.

12 CHAIRMAN KATZ: And just to refresh us
13 since Dr. Bailey won't be here Thursday, what's the EMF
14 level from a DC cable?

15 DR. JOHNSON: From a DC cable?

16 CHAIRMAN KATZ: Yeah, underground cable.

17 DR. JOHNSON: Again, it depends on the
18 magnitude of the currents and the depth of the cable.

19 CHAIRMAN KATZ: Well, can I have --

20 DR. BAILEY: And the design of the cable
21 system.

22 CHAIRMAN KATZ: Okay.

23 MR. WERTHEIMER: Can you give an order of
24 magnitude difference? Are you talking about the same --

HEARING RE: CL&P and UI
JULY 27, 2004

1 the same loading, the same usage characteristics of a DC
2 line versus an AC line? The DC line is lower, isn't that
3 correct?

4 DR. BAILEY: Yeah, in magnitudes they would
5 be roughly the same -- if I recall for the Cross Sound
6 Cable we had at one location a maximum field at the
7 surface of the seabed, which was -- I can't remember --
8 four or six feet -- .16 gauss or 160 milligauss -- but
9 perhaps Dr. Johnson and I can pull together some typical
10 values overnight and report back tomorrow morning on some
11 more extensive data on this.

12 CHAIRMAN KATZ: We'd appreciate that.

13 MR. WERTHEIMER: That's all, thank you.

14 CHAIRMAN KATZ: Thank you, Mr. Wertheimer.
15 Next is the City of Bridgeport, Attorney Howlett. Not
16 here. The Communities for Responsible Energy, Trish
17 Bradley? No questions she said. OCC, Mr. Johnson? Not
18 here. Woodlands Coalition? Not cross-examining. ISO New
19 England, Mr. Macleod?

20 MR. MACLEOD: No questions, Madam Chairman.

21 CHAIRMAN KATZ: DOT --

22 COURT REPORTER: Mr. Macleod said?

23 CHAIRMAN KATZ: Mr. Macleod said -- I'm
24 sorry, Mr. Macleod said no questions. DOT, Attorneys

HEARING RE: CL&P and UI
JULY 27, 2004

1 Walsh and Meskill?

2 A VOICE: No questions.

3 CHAIRMAN KATZ: DOT said no questions. The
4 Town of Fairfield? Absent. The Town of Weston, I'm
5 assuming no questions?

6 A VOICE: No further questions.

7 CHAIRMAN KATZ: No further questions they
8 said. South Central Connecticut Water Authority?

9 MR. LORD: No questions.

10 CHAIRMAN KATZ: Attorney Lord said no
11 questions. The Town of Cheshire, Attorney Burturla?

12 MR. RICHARD BURTURLA: No questions.

13 CHAIRMAN KATZ: He said no questions. The
14 Town of North Haven? Absent. Mr. Rosenthal, Ezra
15 Academy, B'Nai Jacob.

16 MR. ROSENTHAL: Yes.

17 CHAIRMAN KATZ: And then we will go to Mr.
18 Cunliffe after that and Council questions. Is there
19 anyone who I did not call upon who plans to cross-examine
20 this panel --

21 MR. ROSENTHAL: Yes, yes --

22 CHAIRMAN KATZ: -- is there anyone who I
23 did not call upon who plans to cross-examine this panel?
24 Okay.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. ROSENTHAL: Good afternoon. My name is
2 Kenneth Rosenthal and I'm here in place of my partner
3 David Schaefer, who unfortunately had to be at another
4 hearing today.

5 COURT REPORTER: Would you be good enough
6 to spell your name for the record --

7 MR. ROSENTHAL: R-o-s-e-n-t-h-a-l. I'm not
8 sure -- is it Dr. Johnson?

9 DR. JOHNSON: Yes.

10 MR. ROSENTHAL: Okay. Doctor, I think you
11 referred -- and perhaps Dr. Bailey can chime in on this as
12 well -- we've had some discussion that the panel was
13 recently asked about in terms of optimized -- split-
14 phasing and optimizing split phasing. As I understand it,
15 what's going on here is you have current that's going to
16 be flowing through two rather than one wire in such a way
17 that the -- there's a cancellation if you will -- well,
18 let me just get it right -- there's a -- an arrangement so
19 that the flows cancel some of the effect of the EMF out,
20 is that correct?

21 DR. JOHNSON: That's -- that's correct.
22 When the -- when you have two different phases, each
23 conductor, each phase, the current on it will produce a
24 magnetic field. If you have adjacent to it or near to it

HEARING RE: CL&P and UI
JULY 27, 2004

1 a conductor with a different phase, the magnetic field
2 produced by it will be at a different phase than from the
3 field from the first one. And now you're looking at
4 combining the fields from each one of those conductors and
5 they're at a different phase and so you get some
6 cancellation.

7 MR. ROSENTHAL: Okay. So -- so the
8 cancellation is going to depend on the equipment operating
9 and the current operating in such a way that they're in
10 sync or out of sync in such a way that there's a
11 cancellation effect, is that correct?

12 DR. JOHNSON: Basically, they're out of
13 sync with a different phase.

14 MR. ROSENTHAL: Okay. And if the current
15 isn't out of sync, then that effect isn't going to occur,
16 is it?

17 DR. JOHNSON: Well, you'll still combine
18 the fields, but because of -- if the -- let's say if the
19 phases are in sync, both of them say A phase, then the
20 fields produced by those two conductors are going to be in
21 phase and so they'll add together.

22 MR. ROSENTHAL: So in that -- in that
23 situation rather than reducing the magnetic field and the
24 EMF effect, they can increase the magnetic field?

HEARING RE: CL&P and UI
JULY 27, 2004

1 DR. JOHNSON: They work together.

2 MR. ROSENTHAL: And I think you indicated
3 in response to one of the questions that was asked by one
4 of my colleagues earlier that -- that in some situations
5 where you have -- where you have that situation there can
6 be an increase rather than a decrease in the magnetic
7 field effect. Is -- do you recall that testimony?

8 DR. JOHNSON: If the phases are similar --

9 MR. FITZGERALD: I'm going to object to the
10 question, to the reference of that situation. At this
11 point I don't know what situation we're talking about.

12 MR. ROSENTHAL: Do you understand, Dr.
13 Johnson -- alright, let me rephrase it.

14 AUDIO TECHNICIAN: Mr. Rosenthal, would you
15 just take that microphone --

16 MR. ROSENTHAL: Sorry, yes, I will --

17 AUDIO TECHNICIAN: Just point it to the --
18 so it's in the same direction you're talking.

19 MR. ROSENTHAL: In regards to like that
20 situation, if -- if we're going back -- I'm not sure
21 exactly what that is, we're talking about the situation
22 where the two phases are the same, where you have two
23 phase A's, such as in the model test, when both phase A's
24 were at the top of the modeled tower, they were producing

HEARING RE: CL&P and UI
JULY 27, 2004

1 magnetic fields that were in phase, and so the magnetic
2 fields add or enhanced each other. If you now put phase C
3 at the top of the tower, so you have phase A and phase C,
4 there are going to be different phases out of phase and so
5 the fields will to some extent act against each other or
6 cancel, okay. And if you add to that a 115 line -- did
7 your modeling include the 115-gigawatt line that is
8 already there?

9 DR. JOHNSON: No, in the modeling we showed
10 what would happen if you took a regular line, a three-
11 phase, and split the phases either making them ABC, ABC on
12 the tower, or optimize split-phase, ABC, CBA. So it was
13 for one circuit.

14 MR. CRETELLA: For clarification, your --
15 for clarification, your reference was 115 volts or 115 --

16 A VOICE: Gigawatts --

17 A VOICE: Volts --

18 MR. CRETELLA: Volts --

19 A VOICE: Kilovolts --

20 MR. CRETELLA: Kilovolts --

21 A VOICE: Kilovolts --

22 MR. CRETELLA: Kilovolts --

23 MR. ROSENTHAL: If there's a 115-kilovolt
24 line that's also in the same right-of-way, is that going

HEARING RE: CL&P and UI
JULY 27, 2004

1 to have an effect on the cancellation or the split-phasing
2 impact on magnetic fields?

3 DR. JOHNSON: Well, the fields from the
4 split-phase will be the same for that split-phase line.
5 In addition, you will have the added fields or the
6 additional fields contributed by the 115-kV line, and
7 you'll have to take those into account when you come up
8 with the total magnetic field.

9 MR. ROSENTHAL: Does the direction of flow
10 in either of the lines affect the impact on magnetic
11 field?

12 DR. JOHNSON: If you're talking about a
13 multi-line corridor, if you keep one line the same and you
14 change the direction of flow on the other line or other
15 circuit, it will change the magnetic field levels that
16 you'd measure.

17 MR. ROSENTHAL: Will it increase them or
18 decrease them?

19 DR. JOHNSON: It depends on how the lines
20 are configured and set up.

21 MR. ROSENTHAL: Okay. Now, I think you
22 indicated or it's been indicated that the figures that
23 have been presented to the Siting Council are figures that
24 assume that the multi-phasing that's going on on these

HEARING RE: CL&P and UI
JULY 27, 2004

1 planned lines are optimized, is that correct?

2 DR. JOHNSON: I believe that's correct.

3 MR. ROSENTHAL: So does that, in effect,
4 mean that they operate at the -- they operate flawlessly
5 so to speak?

6 DR. JOHNSON: I'm not sure -- I mean --

7 MR. ROSENTHAL: Alright, let me rephrase it
8 --

9 DR. JOHNSON: -- the equipment operates --

10 MR. ROSENTHAL: Flawlessly with respect to
11 the multi-phasing, that is that they are exactly out of
12 sync in the way that you described before?

13 DR. JOHNSON: The phasing of the various
14 lines is fairly stable over time. I mean what's phase A
15 on one line for that location will remain phase A.

16 MR. ROSENTHAL: And that's the way you
17 modeled it, you modeled it to remain operating the way
18 it's suppose to operate with the proper flow and the
19 proper --

20 MS. RANDELL: Madam --

21 MR. ROSENTHAL: -- in relationship to the
22 other line --

23 MR. FITZGERALD: Well --

24 MS. RANDELL: Madam --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. ROSENTHAL: -- isn't that correct?

2 MS. RANDELL: Madam Chairman, before the
3 witness answers, Mr. Rosenthal has been speaking of models
4 I think in a couple of ways during his examination. I
5 haven't wanted to intrude, but in this question I gather
6 he doesn't mean the model -- the physical model that was
7 shown in the DVD this morning as opposed to the computer
8 model, which I think is a Bonneville --

9 MR. ROSENTHAL: I'm referring to the
10 computer model --

11 CHAIRMAN KATZ: Okay --

12 MR. ROSENTHAL: Okay.

13 CHAIRMAN KATZ: We'll make that
14 differentiation between parking lot wood and computer
15 model.

16 MR. ROSENTHAL: Yes.

17 MS. RANDELL: That would be good, thank
18 you.

19 MR. FITZGERALD: Well, I object to the
20 question in any event as incoherent, so perhaps --

21 MR. ROSENTHAL: The computer -- I'll ask it
22 again -- the computer model that you utilized included a
23 series of assumptions, the data that was fed in that were
24 assumptions, correct?

HEARING RE: CL&P and UI
JULY 27, 2004

1 DR. JOHNSON: For the input to the computer
2 calculation model, we have the phase angle for the
3 particular conductor, we have the line height, we have the
4 conductor position, and we have the voltage on the line,
5 as well as the current magnitude.

6 MR. ROSENTHAL: And the direction of the
7 current?

8 DR. JOHNSON: That is incorporated in terms
9 of the phasing and the current magnitude.

10 MR. ROSENTHAL: And in addition to the
11 items you've described, you also assume that none of the
12 lines are down, correct?

13 DR. JOHNSON: For the particular
14 calculations that we did, it assumed all lines within the
15 right-of-way functioning.

16 MR. ROSENTHAL: And you would agree with me
17 that if you have six lines instead of three lines at any
18 particular location, the likelihood of one of them going
19 down is higher?

20 DR. JOHNSON: That gets into a reliability
21 question --

22 MR. ROSENTHAL: Yeah, it does. And if a
23 line is down, if one of the six lines is down, what does
24 that do to the multi -- the impact on -- that we're

HEARING RE: CL&P and UI
JULY 27, 2004

1 talking about in terms of optimizing EMF fields?

2 MR. FITZGERALD: I'm going to object to
3 that question as having no foundation in the record. No
4 one is talking about six lines. I mean perhaps he's --
5 perhaps Mr. Rosenthal --

6 MR. ROSENTHAL: Withdrawn --

7 MR. FITZGERALD: -- is talking about
8 conductors --

9 MR. ROSENTHAL: What is -- whatever number
10 of lines there are, if one of the lines that's on the
11 tower that's a multi-phase operation is down, that
12 negatively impacts the effect you're speaking about in
13 terms of EMF, correct?

14 DR. JOHNSON: It would depend on a
15 particular multi-line corridor and the current levels on
16 the other lines.

17 MR. ROSENTHAL: Okay. Now in the video we
18 saw it described -- it showed us the -- I'm not sure how
19 Chairman Katz described it -- the wooden test that was
20 done up in your laboratory -- where is it, in New York?

21 DR. JOHNSON: In Massachusetts.

22 MR. ROSENTHAL: Massachusetts. When you
23 did that test, did you test -- did you perform a test to
24 see what would happen if one of the lines we saw in that

HEARING RE: CL&P and UI
JULY 27, 2004

1 video wasn't operating?

2 DR. JOHNSON: One of the test is where you
3 only had one-half of the tower energized with ABC and then
4 added the second set of conductors --

5 MR. ROSENTHAL: No, I understand, but after
6 the phases were set on the second set where you added the
7 second set of conductors, did you -- did you check to find
8 out what would happen and what measurements you would get
9 if one of those six lines was cut out?

10 MS. RANDELL: Madam Chairman, can I just
11 request that we have a clarification here. It would
12 appear to me that Mr. Rosenthal may be talking about the
13 phases or the conductors. And my understanding and the
14 witnesses can confirm, is that if one is down, the whole
15 line is down --

16 CHAIRMAN KATZ: Is --

17 MS. RANDELL: -- and so I'm not sure --

18 MR. ROSENTHAL: Is that right --

19 MS. RANDELL: -- that the witness and Mr.
20 Rosenthal are speaking the same language.

21 CHAIRMAN KATZ: Okay, can we ask that
22 clarifying question, if one line is down, is the whole
23 transmission line down?

24 DR. JOHNSON: Essentially, if one phase

HEARING RE: CL&P and UI
JULY 27, 2004

1 goes out and --

2 MR. ZAKLUKIEWICZ: The line is out.

3 DR. JOHNSON: Yeah.

4 MR. ZAKLUKIEWICZ: The line will trip out
5 if we lose one of the phases of the three-phase system.

6 CHAIRMAN KATZ: Okay. So --

7 MR. ZAKLUKIEWICZ: And the circuit will be
8 dead until the repairs are made and all three phases are
9 back in service.

10 CHAIRMAN KATZ: And when the line is down,
11 there's no EMF --

12 MR. ROSENTHAL: And what is --

13 CHAIRMAN KATZ: -- correct?

14 MR. ZAKLUKIEWICZ: That is correct.

15 CHAIRMAN KATZ: Okay.

16 MR. ROSENTHAL: And what is the reliability
17 data that we have from operating multi-phase 345-kilovolt
18 systems as to how frequently that occurs?

19 MR. FITZGERALD: That being?

20 CHAIRMAN KATZ: The scenario where all the
21 lines go down --

22 MR. ROSENTHAL: Yes --

23 CHAIRMAN KATZ: -- is that your question?

24 MR. ROSENTHAL: Yes -- well, one line -- if

HEARING RE: CL&P and UI
JULY 27, 2004

1 one line goes down that causes the problem you described?

2 MR. ZAKLUKIEWICZ: I think we already filed
3 in our testimony what the average number of trips or
4 interruptions for a 345-kV overhead transmission line are.
5 And if my memory serves me right to correction, I think
6 we're looking at somewheres less than 1.5 trips per
7 hundred miles per year --

8 CHAIRMAN KATZ: So, Mr. Zak --

9 MR. ZAKLUKIEWICZ: -- subject to check.

10 CHAIRMAN KATZ: Just to clarify this. When
11 you do a 345 line in split-phase, are you more apt, less
12 apt, or no difference in the amount of time that you have
13 transmission line outages? Does it increase the
14 possibility of having transmission line outages?

15 MR. ZAKLUKIEWICZ: Because you have more
16 hardware up there, more insulators, you would --

17 CHAIRMAN KATZ: Yes --

18 MR. ZAKLUKIEWICZ: -- you would be suspect
19 of having an insulator flashover to be more frequent if
20 the entire line was split-phase.

21 CHAIRMAN KATZ: Okay. So can you give us a
22 relative -- can you quantify that in any way? Is
23 Southwest Connecticut going to have more outages if this
24 line is split-phase?

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. ZAKLUKIEWICZ: I would say there
2 probably will be a slight increase, but not a dramatic
3 increase.

4 CHAIRMAN KATZ: Okay. Mr. Emerick had a
5 clarifying question and then we'll go back to you, Mr.
6 Rosenthal.

7 MR. ROSENTHAL: Thank you.

8 MR. EMERICK: Dr. Johnson, in your
9 describing the criteria that went into the model, I think
10 one of the criteria was current magnitude?

11 DR. JOHNSON: Yeah, basically if we're
12 talking like 500 amps, 1,000 amps, as well as its phase,
13 whether it's phase A, phase B, phase C.

14 MR. EMERICK: So the current -- okay.

15 MR. ROSENTHAL: Now -- this question is
16 directed to anyone, including Dr. Bailey -- you made
17 reference to an actual measurement that was done in an
18 actual facility in western New York -- is that where it
19 was?

20 DR. BAILEY: Yes.

21 MR. ROSENTHAL: Okay. That's 115
22 kilovolts, is that right, that system?

23 DR. BAILEY: It's a 115-kilovolt line, yes.

24 MR. ROSENTHAL: And is that in an area

HEARING RE: CL&P and UI
JULY 27, 2004

1 similar to Southwestern Connecticut in terms of having a
2 lot of municipalities in it and being a high industrial
3 area?

4 DR. JOHNSON: The area is -- where the
5 split-phase line occurs is in a -- basically near the main
6 street of a town.

7 MR. ROSENTHAL: Is it just in -- is it --
8 how big a system is this?

9 DR. JOHNSON: I'm not sure of the total
10 length of the line. I'll have to double check as far as
11 the exact distance, but there are several spans at least
12 of this split-phase design.

13 MR. ROSENTHAL: Are we talking about a
14 system that's hundreds of miles?

15 DR. JOHNSON: Well, you're asking about the
16 system versus the length of the line.

17 MR. ROSENTHAL: Are we talking about lines
18 that are hundreds of miles -- well, let me withdraw the
19 question. Is it fair to say, and I think you may have
20 indicated this previously, that there aren't a whole lot
21 of multi-phase systems in the western world that have been
22 operating for any length of time?

23 DR. JOHNSON: Are you talking split-phase?

24 MR. ROSENTHAL: Split-phase, I'm sorry.

HEARING RE: CL&P and UI
JULY 27, 2004

1 DR. JOHNSON: Okay. There -- there are
2 very few reported instances of split-phase lines as split-
3 phase lines.

4 MR. ROSENTHAL: And so we don't really have
5 very much in the way of real world data as to how these
6 lines function in practice, is that fair to say?

7 MR. ZAKLUKIEWICZ: That's -- that's not a
8 fair statement. The answer is the facilities -- the
9 equipment that's used on split-phase is no different,
10 absolutely no different than the transmission facilities
11 that are installed across the world. The monopole or the
12 H-frame, or whatever you're using to achieve a split-phase
13 is no different than the 115-kV facilities throughout
14 Connecticut, throughout the United States. The only
15 difference is you have a structure, which is no different
16 than a double-circuit transmission line, and at some point
17 you take the three conductors, you split them to six, you
18 bring them back to three or whatever. We have double-
19 circuit lines all across this country, all across
20 Connecticut. And to insinuate that because I now split
21 the conductors, I've got a total different reliability of
22 the system, absurd --

23 MR. ROSENTHAL: Well --

24 CHAIRMAN KATZ: Just --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. ZAKLUKIEWICZ: -- absurd.

2 MR. ROSENTHAL: I'm not trying to argue
3 with you, Mr. Palugawitz (phonetic), but the fact is, if
4 it is a fact, that we don't have multi-phase systems in
5 the western world other than a small number as far as you
6 know, is that correct?

7 MR. ZAKLUKIEWICZ: The reason --

8 MS. RANDELL: Madam Chairman, this --

9 MR. ZAKLUKIEWICZ: -- the reason you don't
10 have them is due to costs --

11 MS. RANDELL: -- we've covered this --
12 (gavel)

13 CHAIRMAN KATZ: Let's just take a moment
14 here, okay.

15 MS. RANDELL: We have covered this one by
16 Mr. McDermott's count three times already. I'd suggest
17 that we could move on.

18 MR. ROSENTHAL: Well --

19 CHAIRMAN KATZ: First --

20 MR. ROSENTHAL: -- I'm just trying to
21 establish that what we're being asked to accept in terms
22 of numbers and in terms of having faith that this system
23 is going to accomplish something is based on a computer
24 model that I want to get to just now and not -- there are

HEARING RE: CL&P and UI
JULY 27, 2004

1 not a lot of systems out there that we can look to say,
2 oh, this works fine or we can do measurements.

3 CHAIRMAN KATZ: Okay.

4 DR. BAILEY: Let --

5 CHAIRMAN KATZ: And I think --

6 MR. ROSENTHAL: And I'll move on --

7 CHAIRMAN KATZ: I think --

8 MR. ROSENTHAL: -- if that point has been
9 established.

10 CHAIRMAN KATZ: I think if you'll move on -

11 -

12 MR. ROSENTHAL: Okay --

13 CHAIRMAN KATZ: -- and I'm going to ask the
14 witnesses to just -- (pause) --

15 MR. TAIT: How about the undergrounding,
16 Mr. Rosenthal?

17 MR. ROSENTHAL: Excuse me?

18 MR. TAIT: And how about undergrounding --

19 CHAIRMAN KATZ: Yeah --

20 MR. ROSENTHAL: Well, undergrounding --

21 CHAIRMAN KATZ: -- we won't get into our
22 experience on --

23 MR. ROSENTHAL: I'm not --

24 MR. TAIT: (Indiscernible, overlap of

HEARING RE: CL&P and UI
JULY 27, 2004

1 talking) -- no real world experience --

2 CHAIRMAN KATZ: Yeah, I don't think Mr.
3 Rosenthal wants to go there.

4 A VOICE: No, I don't think he wants to go
5 there.

6 CHAIRMAN KATZ: Okay. And I'm just going
7 to ask the witnesses to please just, you know, answer the
8 questions and we'll go on.

9 MR. ROSENTHAL: Now, it -- I'm sorry --

10 DR. JOHNSON: I was reminded that actually
11 Circuit 1690, which I believe is in Cross-Section 2, it's
12 a 115 line, is actually split -- essentially is split-
13 phase. It's a circuit that's split into two, just running
14 on separate structures side by side, 1690A and 1690B.

15 MR. ROSENTHAL: Is it multi-phased?

16 DR. JOHNSON: It's a split-phase line. One
17 of the lines is ABC --

18 CHAIRMAN KATZ: Mr. --

19 DR. JOHNSON: -- the second line is ABC.

20 MR. ROSENTHAL: Well --

21 CHAIRMAN KATZ: Just a second. I think one
22 of the problems, Mr. Rosenthal, is you're using this
23 multi-phase term that the witness panel is not using --

24 MR. ROSENTHAL: Okay --

HEARING RE: CL&P and UI
JULY 27, 2004

1 CHAIRMAN KATZ: -- and I'm going to ask
2 that we all use the same terminology. So --

3 MR. ROSENTHAL: Does the split-phase line
4 that you're referring to, does that operate in the manner
5 that you indicated would be operated to minimize magnetic
6 field?

7 DR. JOHNSON: I'd have to look at the exact
8 phasing. It's an existing line, but I don't believe it's
9 optimally phased.

10 MR. ROSENTHAL: Okay. How -- do we have
11 any experience from whatever multi-phased systems that are
12 out there as to how difficult it is to optimize the
13 phasing?

14 MS. RANDELL: Madam Chairman, could I just
15 ask the witness a clarifying question that might take
16 multi-phase off the table --

17 MR. ROSENTHAL: I'm sorry --

18 CHAIRMAN KATZ: Okay --

19 MR. ROSENTHAL: -- did I use the wrong word
20 again?

21 A VOICE: Yes --

22 MR. ROSENTHAL: Split-phase. I didn't mean
23 to. Do we have any -- let me rephrase -- do we have any
24 experience from that or any other systems as to how

HEARING RE: CL&P and UI
JULY 27, 2004

1 difficult it is to achieve the optimization of phasing
2 that you assumed in your computer model?

3 DR. JOHNSON: It would -- let's say for the
4 case of the 1690 line, if it -- it presently is on two
5 horizontal structures, and as you go across the right-of-
6 way, I believe it's phased ABC, ABC, so it's not optimally
7 phased. If you wanted to optimally phase it, then you
8 would have a transposition at some point and simply bring
9 the C phase over into the middle say of the right-of-way
10 and transpose the A phase over to the outside of the
11 right-of-way. And that's a procedure that is done and has
12 been done on other lines and is fairly common, especially
13 on long runs of line --

14 CHAIRMAN KATZ: Dr. Johnson, this line is
15 in Connecticut, this one you're referring to?

16 MR. ZAKLUKIEWICZ: Yes --

17 DR. JOHNSON: Yeah, 1690. In fact, I think
18 it's in cross-section --

19 MR. ZAKLUKIEWICZ: We have a number of
20 them, Chairman Katz. It's -- where we had an old 4-R
21 (phonetic) conductor, we bundled the circuits, as is the
22 case of the circuit through Durham, it's a single circuit
23 on two separate H-frame structures, I didn't consider that
24 to be split-phasing because it was bundled circuits. We

HEARING RE: CL&P and UI
JULY 27, 2004

1 have a number of bundled circuits running down the right-
2 of-way from Frost Bridge down into the Devon area for
3 instance. We bundled them primarily to reduce the burden
4 down of the single circuit for a contingency. So when we
5 bundled the two, the current splits and we're able to have
6 higher transfers from point A to point B.

7 CHAIRMAN KATZ: Okay.

8 MR. ZAKLUKIEWICZ: And we have a number of
9 these out there and they're primarily where we have the
10 older 4-R copper conductor operating at 115,000 volts.

11 CHAIRMAN KATZ: Thank you.

12 MR. ROSENTHAL: In terms of the
13 optimization of the phasing, is that subject to mechanical
14 failure?

15 DR. JOHNSON: No. I mean --

16 CHAIRMAN KATZ: Once you hang the lines, is
17 that it?

18 DR. JOHNSON: Essentially yes, unless
19 you're making changes at the substations or at the
20 terminals. And the conductor that I call phase A, phase B
21 or the next conductor will be essentially 120 degrees out
22 of phase with that, and phase C then will be another 120
23 degrees. So in say a 360-degree rotation you will have
24 the three phases. And that relation, the 120 degrees

HEARING RE: CL&P and UI
JULY 27, 2004

1 between the three phases is basically constant. And --

2 MR. ROSENTHAL: Okay, and that's controlled
3 by a -- by a -- I'm sorry --

4 DR. JOHNSON: And I would just add that
5 that's determined by where that wire is conducted at the
6 transformer back at the substation. It's a fixed quantity
7 --

8 MR. ROSENTHAL: That gets --

9 DR. JOHNSON: -- phase A is determined by
10 its connection at the transformers at either end.

11 MR. ROSENTHAL: Determined by a mechanical
12 device?

13 DR. JOHNSON: It's -- it's --

14 A VOICE: Physical --

15 DR. JOHNSON: -- physical connection.

16 MR. ROSENTHAL: Physical connection.

17 MR. O'NEILL: So Dr. Johnson and Dr.

18 Bailey, this is a commonly accepted form of installation
19 of conductors?

20 MR. ASHTON: Universally --

21 MR. O'NEILL: Universally accepted?

22 DR. JOHNSON: Designation of conductors of
23 use --

24 A VOICE: Yes --

HEARING RE: CL&P and UI
JULY 27, 2004

1 DR. JOHNSON: -- yes.

2 MR. O'NEILL: Nothing experimental about
3 this technique?

4 DR. JOHNSON: No.

5 MR. O'NEILL: Thank you.

6 MR. ROSENTHAL: Now in terms of the model -
7 - the -- well, withdrawn. At the Woodbridge location
8 where B'Nai Jacob is, there's a 15 --

9 A VOICE: One-fifteen --

10 MR. ROSENTHAL: A 115 -- kilovolt?

11 CHAIRMAN KATZ: A 115-kilovolt?

12 MR. ROSENTHAL: A kilovolt line there
13 presently that is able to -- the current is able to go in
14 either direction. Are you aware of that?

15 DR. JOHNSON: Well, the current flow on the
16 lines will be determined by the load flows of what --

17 MR. ROSENTHAL: And in fact there are times
18 when it goes to the Milford Substation in one direction or
19 the current comes in -- back from the Milford Substation.
20 And my question is if that line remains there and the
21 split-phase system is put in place, will the direction
22 that the 115-kilovolt current line current is flowing at
23 any given time impact the EMF effect of the split-phasing
24 that you've referred to?

HEARING RE: CL&P and UI
JULY 27, 2004

1 DR. JOHNSON: Both the magnitude and the
2 direction of flow of the current on the lines in the
3 corridor will have an effect on the magnetic field. So if
4 you change the magnitude, you change the direction, there
5 is the potential for the magnetic field to change.

6 MR. ROSENTHAL: Okay.

7 DR. BAILEY: Can I -- can I just add that
8 the function of the split-phase line however is
9 independent of whatever the functions are of any lines
10 that might be parallel to that. So that the ability of
11 the conductors on one side of the split-phase line to
12 interact with the phases on the other side of the split-
13 phase line occurs whether or not there is any other lines
14 parallel to that circuit.

15 MR. ROSENTHAL: The total EMF present at
16 that location will be the combination of what's on the
17 115-kilovolt -- coming from the 115-kilovolt line and the
18 split-phase system that you're planning on putting in
19 place, is that correct?

20 DR. BAILEY: Right. But the split-phase
21 system considered by itself --

22 MR. ROSENTHAL: Okay --

23 DR. BAILEY: -- that functioning is
24 independent of the other lines. And the degree to which

HEARING RE: CL&P and UI
JULY 27, 2004

1 the split-phase line inhibits or interacts with the 115-kV
2 lines will depend upon the current loads on the 115-kV
3 lines.

4 MR. ROSENTHAL: Okay. And your
5 calculations of EMF projections in that area didn't
6 include anything with respect to the 115-kilovolt line, is
7 that correct? The numbers that we've been given in these
8 exhibits and that were shown on the power-point was
9 strictly the split -- the EMF effects of the split-phase
10 system?

11 DR. BAILEY: No --

12 CHAIRMAN KATZ: Wasn't it everything that's
13 going to hang on the poles?

14 DR. JOHNSON: Yes.

15 MR. ROSENTHAL: Including the 115-
16 kilovolts?

17 DR. JOHNSON: It -- if the 115 lines are
18 overhead, aboveground --

19 MR. ROSENTHAL: Yes --

20 DR. JOHNSON: -- it is included in the
21 calculations and any of the options. For the options
22 where -- if there are options included where the 115 lines
23 are removed or put underground, then for those
24 calculations they are not included because they're out of

HEARING RE: CL&P and UI
JULY 27, 2004

1 the picture, they're underground and away from the site.

2 MR. ROSENTHAL: Where they're over-ground,
3 what assumptions did you make in terms of the direction of
4 the flow on the 115-kilovolt lines?

5 DR. JOHNSON: That again is based on the
6 15-gigawatt overall system load flow and the 27.7 gigawatt
7 case.

8 CHAIRMAN KATZ: If you went to Cross-
9 Section 8 in the middle in the latest exhibit, Glen Lake
10 Junction to Pease Road Junction, is this the segment that
11 the Ezra Academy/B'Nai Jacob is included in?

12 MS. BARTOSEWICZ: No --

13 CHAIRMAN KATZ: Okay, which one --

14 MS. BARTOSEWICZ: -- oh, I'm sorry, the
15 middle --

16 A VOICE: The south segment --

17 A VOICE: What one is --

18 A VOICE: This one that's the middle,
19 that's south --

20 MS. BARTOSEWICZ: The middle is the Jewish
21 Community Center.

22 CHAIRMAN KATZ: Okay.

23 MS. BARTOSEWICZ: The 8 --

24 DR. BAILEY: 8 South --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MS. BARTOSEWICZ: -- south would be Ezra
2 Academy.

3 CHAIRMAN KATZ: Okay. So if you went to 8
4 South and you looked at Option 4 and Option 5 --

5 MR. ROSENTHAL: Is this on the 20 -- the 15
6 or the 27 --

7 DR. BAILEY: The 15-gigawatt.

8 MS. BARTOSEWICZ: We're looking at the
9 presentation.

10 CHAIRMAN KATZ: We're looking at Exhibit
11 136 from this morning, Cross-Section 8 South, Pease Road
12 Junction to East Devon Substation, 12 miles, Woodbridge,
13 Orange and Milford. If you look at Option 4 and Option 5,
14 is -- the 80-foot pole and the 110-foot pole is that where
15 the 115 is?

16 MS. BARTOSEWICZ: That's correct.

17 CHAIRMAN KATZ: Okay. And the split-phase
18 is on the 105-foot pole and the 135-foot pole?

19 MS. BARTOSEWICZ: That's correct.

20 CHAIRMAN KATZ: And when you look at --
21 which side of the right-of-way, northwest or southeast,
22 are the Ezra Academy and B'Nai Jacob?

23 MS. BARTOSEWICZ: Ezra Academy would be on
24 the east side, so it would be the southeast edge of the

HEARING RE: CL&P and UI
JULY 27, 2004

1 right-of-way.

2 CHAIRMAN KATZ: Okay. So if you -- let me
3 make sure I understand -- if you did split-phasing with
4 Option 5 in a 15-gigawatt case, that the edge of the
5 right-of-way by Ezra Academy would be 0.6 milligausses?

6 MS. BARTOSEWICZ: It would actually be 0.5.
7 The 0.6 in the chart is just the generic -- you know, the
8 standard cross-section --

9 CHAIRMAN KATZ: Right --

10 MS. BARTOSEWICZ: -- if you go to Exhibit 2
11 of Dr. Bailey's testimony --

12 CHAIRMAN KATZ: Right --

13 MS. BARTOSEWICZ: -- the Ezra Academy
14 specific location is 0.5.

15 CHAIRMAN KATZ: Okay. So being specific
16 again, instead of generic for Section 8 South --

17 MS. BARTOSEWICZ: Yes --

18 CHAIRMAN KATZ: -- if they preferred Option
19 4 --

20 MS. BARTOSEWICZ: Yes --

21 CHAIRMAN KATZ: -- what would be the
22 specific reading at Ezra Academy edge of right-of-way?

23 MS. BARTOSEWICZ: It would be -- (pause) --

24 DR. BAILEY: Well --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MS. BARTOSEWICZ: It would be 0.9.

2 CHAIRMAN KATZ: 0.9 instead of 1.7, which
3 is the average?

4 MS. BARTOSEWICZ: It would be -- correct.

5 CHAIRMAN KATZ: Okay, thank you. Thank
6 you, Mr. Rosenthal.

7 MR. ROSENTHAL: Thank you. And Dr. Bailey,
8 in Exhibit 1 to your testimony, I think we have some of
9 those same -- or close to the same figures on the 15-
10 gigawatt case for Section 8, the middle -- is it the
11 middle segment or south segment -- (pause) --

12 MS. BARTOSEWICZ: I'm sorry, where -- which
13 cross-section are you on?

14 MR. ROSENTHAL: I thought I was on the
15 right one, but -- this would be cross-section -- this is
16 the south segment, right -- Cross-Section 8, I'm sorry.

17 DR. BAILEY: Oh --

18 MS. BARTOSEWICZ: That would be middle or
19 south?

20 MR. ROSENTHAL: South.

21 DR. BAILEY: Okay.

22 MR. ROSENTHAL: I'm looking at Option 4 and
23 5 on the 15-gigawatt case of the south section, it's
24 toward the end of your Exhibit 1. And these figures, the

HEARING RE: CL&P and UI
JULY 27, 2004

1 .6 and the 1.7, where do they appear or approximately
2 where do they appear? (Pause) Oh, I see -- they're right
3 on the southeast edge of the right-of-way, is that
4 correct?

5 DR. BAILEY: That's correct.

6 MR. ROSENTHAL: Alright. And if we were --
7 just for comparison purposes because this moves into the
8 other area I wanted to cover, if we were to look on your
9 same exhibit for that segment of Cross-Section 8 to the
10 27-gigawatt case, we see that the -- looking at the same
11 location, the southeast edge of the right-of-way near
12 B'Nai Jacob, the .6, six-tenths milligauss figure goes to
13 6.0, doesn't it?

14 DR. BAILEY: Yes.

15 MR. ROSENTHAL: So that's a ten-fold
16 increase in the projection of what the EMF would be if
17 instead of assuming a 15-gigawatt case we assume a 27 --
18 or a 20 -- or a 27-gigawatt case, correct?

19 DR. BAILEY: Yes --

20 MR. ROSENTHAL: And --

21 DR. BAILEY: -- but you have to put that in
22 context. If you look up above on Cross-Section 8 south
23 segment for the existing lines at the southeast edge of
24 the right-of-way under existing conditions under the 15-

HEARING RE: CL&P and UI
JULY 27, 2004

1 gigawatt case, the value is 3.9 milligauss. And when you
2 look at the 27-gigawatt case, for the existing lines as
3 they are configured today, it's 15.8 milligauss --

4 MR. ROSENTHAL: Right, so it's bad today.
5 And the fact that the 20 -- going from 15 -- or it may --
6 it may be higher than certainly the numbers we're talking
7 about here and so that the fact that you go from a factor
8 of .6 to 6.0, just by changing the assumptions in what the
9 gigawatt case should be is diminished is what you're
10 saying?

11 MS. RANDELL: Let me --

12 DR. BAILEY: What I'm pointing out is that
13 --

14 MS. RANDELL: Dr. Bailey, hold on. I'd
15 object to --

16 MR. ROSENTHAL: Alright, let me withdraw
17 the --

18 MS. RANDELL: -- the characterizations
19 included in Mr. Rosenthals' question. If he's just asking
20 about numbers, I'd obviously have no problem or objection
21 to that --

22 MR. ROSENTHAL: Alright, let me follow up.
23 Do you remember before you were asked by one of the other
24 lawyers a question as to what the impact on the numbers

HEARING RE: CL&P and UI
JULY 27, 2004

1 that we saw upon the screen this morning with the 15-
2 gigawatt case would be if instead of assuming a 15-
3 gigawatt case we had a 27-gigawatt case, and you indicated
4 it would depend or you can't -- I think you indicated that
5 you couldn't testify with certainty about that. Wouldn't
6 you agree with me that at least as far as the figures that
7 are in Exhibit 1 are concerned in this particular instance
8 with these particular numbers we're talking about, it
9 looks like a ten-fold increase at least in the Option 5
10 case, in the Option 4 case it looks to be closer to a four
11 and a half to a five-fold increase?

12 DR. BAILEY: The table speaks for itself.
13 And it's clear that when you go from the 15-gigawatt case
14 to the 27-gigawatt case that the fields increase at the
15 edge of the right-of-way for both existing lines and all
16 of the options.

17 MR. ROSENTHAL: That's self-evident,
18 correct?

19 DR. BAILEY: Yes.

20 MR. ROSENTHAL: And in terms of selecting
21 for purposes of the modeling that you did, the 15-gigawatt
22 case and the 27-gigawatt case -- well, let me back up --
23 these -- these lines that are going to get put in are
24 going to be there for a long time, you would agree with

HEARING RE: CL&P and UI
JULY 27, 2004

1 me? Is that correct?

2 DR. BAILEY: Whatever the life span is
3 assumed by the facilities.

4 MR. ROSENTHAL: And the 27-gigawatt -- the
5 projection for peak loads on this system at the 27-
6 gigawatt level is a projection that comes to pass within
7 the next four or five years, correct?

8 MS. BARTOSEWICZ: It comes to pass in the
9 future for maybe one hour of the year.

10 MR. ROSENTHAL: Well, I'll get to that in
11 just a minute, but the 27-gigawatt case that you used was
12 based on the projections of what would be the peak load on
13 this system within the next four or five years, correct?

14 DR. BAILEY: Out in the future and as was
15 just said for one hour or so a year.

16 MR. ROSENTHAL: In 2007 or thereabouts?

17 DR. BAILEY: Thereabouts or it could be
18 later.

19 MR. ROSENTHAL: Alright, which is when --
20 2007 is when the line -- when this system will come on-
21 line, correct?

22 DR. BAILEY: That's the projection.

23 MR. ROSENTHAL: And if -- if we -- if that
24 -- if the assumption that goes into your computer model to

HEARING RE: CL&P and UI
JULY 27, 2004

1 determine what the EMF levels are going to be at any given
2 location is changed from something instead of 27 gigawatts
3 to something higher, then that likewise is going to
4 increase the exposure to -- the EMF exposure that somebody
5 at any of these given locations would be subjected to?
6 That again is self-evident, correct?

7 DR. BAILEY: I think the company would have
8 to answer in terms of their estimate of how likely it was
9 that the average load could jump from 15 gigawatts to 27
10 gigawatts for the average loading condition --

11 MR. ROSENTHAL: Well --

12 DR. BAILEY: -- not the peak --

13 MR. ROSENTHAL: -- I'm not talking about
14 average load, I'm talking about peak load.

15 DR. BAILEY: I just --

16 MR. TAIT: Are we getting anywhere with
17 this line of questioning, Mr. Rosenthal?

18 MR. ROSENTHAL: I hope so.

19 MR. ZAKLUKIEWICZ: I think --

20 MR. TAIT: I don't think so. I think what
21 you're doing is --

22 MR. ZAKLUKIEWICZ: Maybe I can help clarify
23 and --

24 CHAIRMAN KATZ: Well --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. TAIT: Please help -- these figures are
2 obvious to us as well as to you.

3 MR. ROSENTHAL: Okay. Well, what --

4 CHAIRMAN KATZ: Okay -- I -- just to
5 hopefully clarify, we did get an exhibit that we asked for
6 previously and maybe the Applicant can point us back to
7 it. We did ask for an exhibit on the frequency in the
8 future of the 27-gigawatt case. Can you point us back to
9 that exhibit so that we as a Council can refresh our
10 memory on the frequency of that case?

11 A VOICE: No. 87.

12 CHAIRMAN KATZ: Thank you.

13 MR. ZAKLUKIEWICZ: Maybe I could help. The
14 15-gigawatt case we said was our best representation of
15 what the generation would be on in Southwest Connecticut
16 based on looking at previous years of each of the
17 generators bidding into the system in what would be a
18 typical dispatch at any given hour on the system. The 27-
19 gigawatt case, if you recall, is the stressed system, that
20 is Dispatch 2, minimum, minimum generation on in Southwest
21 Connecticut, and it means maximum currents that would be
22 flowing on the 345-kV system and 115 system meeting the
23 load requirements in Southwest Connecticut. So what would
24 be the typical flows on a 27.6 New England load with the

HEARING RE: CL&P and UI
JULY 27, 2004

1 regular generation on at any given time, the flows on this
2 corridor would be appreciably lower, but as we also
3 testified in the planning mode stress the system, which
4 means we had a major number of generators off-line in
5 Southwest Connecticut and maximized the flows on the line.
6 So, I think in previous responses that was not made clear.
7 We're looking at what is the average condition at 15 and
8 what is the stressed worst possible case at 27, and that's
9 why the tables are dramatically different as opposed to
10 looking at what would be the average dispatch and flows on
11 the line at 15 and what would be the average at 27.

12 COURT REPORTER: One moment --

13 MR. ZAKLUKIEWICZ: We've been trying to --
14 (pause) --

15 COURT REPORTER: Thank you.

16 MR. ZAKLUKIEWICZ: We've been trying to be
17 consistent and stress the system in all cases as opposed
18 to picking and choosing where we stress the system. So, I
19 just wanted to bring that clarification -- that would be a
20 significant factor in why there's significantly higher EMF
21 levels or magnetic field levels at the 27 cases than there
22 are at the 15 case because (1) you use an average known
23 basically price driven generation on, and the other one we
24 say we don't really care what the price is, we assume a

HEARING RE: CL&P and UI
JULY 27, 2004

1 number of large generating units in Southwest Connecticut
2 are not available and you still have the maximum load of
3 27 gigawatts.

4 CHAIRMAN KATZ: Thank you. Back to you,
5 Mr. Rosenthal.

6 MR. ROSENTHAL: Thank you. Mr. Palukowitz,
7 maybe you can help me here. In the answer that --

8 MS. RANDELL: Mr. Rosenthal, just to
9 clarify, maybe you can try this one again, it's
10 Zaklukiewicz, or for those of us who are somewhat
11 challenged, Mr. Zak works. (Laughter).

12 MR. ROSENTHAL: Oh, I see a P -- I'm sorry
13 -- Mr. Zak -- Mr. Zaklukiewicz, I apologize --

14 MR. ZAKLUKIEWICZ: Not a problem.

15 MR. ROSENTHAL: It looked like a P from
16 here. The June 24, 2004 response by Northeast Utilities I
17 believe it is, to Town Question 88 -- I don't know whether
18 I'm referring to this correctly, but it's -- it was a
19 question that asked for clarification as to the number of
20 hours during each year that a peak load is projected to be
21 90 percent of peak, 75 percent of peak, 50 percent, and 25
22 percent of peak. Do you have that there by any chance?

23 CHAIRMAN KATZ: Who was the responding
24 witness, Mr. Rosenthal?

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. ROSENTHAL: It was Alan Scarfone.

2 CHAIRMAN KATZ: Okay. Is there someone who
3 can -- he's not here -- is there someone who can answer
4 that?

5 MR. ROSENTHAL: Do you have it there?

6 A VOICE: The reference is Towns' 88.

7 MR. ROSENTHAL: Towns' 88.

8 MR. ZAKLUKIEWICZ: Okay, I have Towns' 88
9 in front of me.

10 MR. ROSENTHAL: Alright. This is --
11 there's a page that has a little tiny spread sheet in the
12 middle of it --

13 MR. ZAKLUKIEWICZ: Yes, I have that in
14 front of me.

15 MR. ROSENTHAL: Very good. It seems to
16 indicate that 75 percent of peak or lower is experienced
17 in 7,856 hours out of the year. And if one does simple
18 calculation, that is multiply the number of days in the
19 year by 24, one gets 8,784. So subtracting those two
20 numbers, we have 928 hours apparently, according to the
21 figures, that Northeast Utilities supplied -- 928 hours in
22 the year when -- when the number is above 75 percent of
23 peak. Do you see that?

24 MR. ZAKLUKIEWICZ: Yes, I'll take your word

HEARING RE: CL&P and UI
JULY 27, 2004

1 --

2 MR. ROSENTHAL: Okay --

3 MR. ZAKLUKIEWICZ: -- that the math is
4 correct.

5 MR. ROSENTHAL: And let me just understand.
6 Does that mean that, assuming the numbers are correct,
7 that for those number of hours when the load is above 75
8 percent of peak, that it's above 75 percent of 24.7
9 gigawatts?

10 MR. FITZGERALD: 24.7?

11 MR. ROSENTHAL: 27.7 gigawatts -- in other
12 words, the peak load we're talking about is the peak load
13 we've just been referring to, the 27-gigawatt case?

14 A VOICE: No, that's --

15 MR. ZAKLUKIEWICZ: This is the peak load of
16 the system -- the peak load of the system to date I
17 believe has been 25,400 approximate, give or take my
18 chasing that or correcting that --

19 MR. ROSENTHAL: So 25,000 --

20 MR. ZAKLUKIEWICZ: -- 25,400 New England
21 load has been the -- has been the peak.

22 CHAIRMAN KATZ: I think we're doing apples
23 and oranges.

24 MR. ASHTON: Can I help out a little bit

HEARING RE: CL&P and UI
JULY 27, 2004

1 here. I think --

2 CHAIRMAN KATZ: No, what I'm going to ask
3 though is I'm going to ask Mr. Zak to -- I'm going to ask
4 Mr. Zak -- Mr. Zak, we're talking -- and I think we're
5 going to need a clarifying statement by you -- on one hand
6 we're talking gigawatts and then on the other hand we're
7 talking load on the system. And I think -- from up here
8 it looks like we're talking apples and oranges. And I ask
9 that one -- you or another witness can clarify?

10 MR. ZAKLUKIEWICZ: I think when we're
11 talking peak load, we're talking what is the peak possibly
12 of achieving that percentage of peak. And -- and the peak
13 is one factor. The other factor is what is the generation
14 on for that peak load. And the fact of the matter is I
15 could be at max peak and basically have current flows on
16 the 345 line, in particular the rights-of-way going down
17 between Middletown and the Devon area through the Town of
18 Woodbridge which are not significantly different than what
19 they would be at the 15-gigawatt case. It's -- it is
20 driven by two factors; No. 1 is the maximum load that is
21 being requested and what is the generation that is on in
22 Southwest Connecticut. And if the generation on is fairly
23 close to what the load requirements are, there is not a
24 whole lot of current flowing on those transmission lines -

HEARING RE: CL&P and UI
JULY 27, 2004

1 -

2 MR. ROSENTHAL: But in terms of --

3 CHAIRMAN KATZ: But would it be fair to say
4 -- let me -- just a second --

5 MR. ROSENTHAL: Sorry.

6 CHAIRMAN KATZ: Would it be fair to say
7 there's a difference between the load you have to import
8 on these transmission lines versus the load you're
9 generating locally?

10 MR. ZAKLUKIEWICZ: That is correct.

11 MR. ROSENTHAL: But --

12 CHAIRMAN KATZ: And the more you import,
13 then the higher the current. But if you generate it
14 locally, you might have less current on that line because
15 you're not having to import it into that region. Is that
16 a fair statement?

17 MR. ZAKLUKIEWICZ: That's correct.

18 CHAIRMAN KATZ: Okay.

19 MR. ROSENTHAL: But in terms of what was --
20 but in terms of apples and oranges here, we're talking
21 about the same thing. The 25,400 that you mentioned is
22 25.4 gigawatts, correct?

23 MR. ZAKLUKIEWICZ: That is correct.

24 MR. ROSENTHAL: Okay. So -- so -- I

HEARING RE: CL&P and UI
JULY 27, 2004

1 understand that there's a second issue you get to, which
2 is whether these gigawatts are going to come over this
3 system as opposed to be generated locally. But just bear
4 with me for a moment, using this exhibit, this Towns' 88,
5 if we -- if we -- if we take 70 -- if we take 25 percent
6 of the 25.4 gigawatt peak you've described as currently
7 existing, that gives us something in the area of 20
8 gigawatts?

9 MR. ZAKLUKIEWICZ: I think the point we're
10 trying to make with the table is the few amount of hours
11 that you are above a certain percentage of time that you
12 are actually experiencing the peak --

13 MR. ROSENTHAL: Okay --

14 MR. ZAKLUKIEWICZ: -- and I think I've
15 testified to that a number of times that relatively
16 approaching peak load conditions where you're at the 97 or
17 98 percentile of peak load conditions, we're talking in
18 the tens of hours per year not at continuous operation.
19 And this table reaffirms that, that --

20 MR. ROSENTHAL: Well, that's exactly what I
21 want to get to, Mr. Zak, because I don't think it does.
22 It shows that you're at -- you're at above 75 percent of
23 peak, which 75 percent of 25.4 is in the range of 20
24 gigawatts, 928 hours out of the year, if you'll -- if

HEARING RE: CL&P and UI
JULY 27, 2004

1 you'll accept the fact that 7,856 hours is 928 hours less
2 than the number of hours in a year, and 928 hours in a 24-
3 hour day is 40 days out of the year. But peak usage in
4 terms of hours of usage is not going to be the full --
5 it's going to be during the day, isn't it?

6 MR. ZAKLUKIEWICZ: Yes, it --

7 MR. FITZGERALD: Well, I think -- I think
8 there are many questions and statements in there --

9 MR. ROSENTHAL: Withdrawn --

10 MR. FITZGERALD: -- and if only the last
11 question -- the last sentence is a question --

12 MR. ROSENTHAL: Withdrawn --

13 MR. FITZGERALD: Aren't you going to let
14 him answer it --

15 MR. ROSENTHAL: Withdrawn. The -- the peak
16 usage is typically going to be during the day, isn't that
17 fair?

18 MR. ZAKLUKIEWICZ: Peak usage in New
19 England is typically a summertime period during the
20 daytime.

21 MR. ROSENTHAL: Okay. And so --

22 MR. ZAKLUKIEWICZ: And in winter, more at
23 nighttime.

24 MR. ROSENTHAL: So if we have 928 hours of

HEARING RE: CL&P and UI
JULY 27, 2004

1 usage above 75 percent of peak, we're talking about -- on
2 an 8-hour basis, 120 days out of the year. That's not an
3 insignificant number of days, is it, Mr. Paluk -- Mr. Zuk
4 --

5 MR. ZAKLUKIEWICZ: Mr. Zak.

6 MR. ROSENTHAL: Mr. Zak.

7 MR. ZAKLUKIEWICZ: Again, it gets back to
8 the point of I'm not certain -- I agree there's 900 and
9 some odd hours or whatever the number is -- it's kind of
10 irrelevant over the issue if you're trying to make it, is
11 that the magnetic fields change dramatically during those
12 900 and some odd hours. If I look at the 10 percent mark
13 of when is the load ever above 90 percent, I mean we're
14 now looking at some very very small number.

15 MR. ROSENTHAL: Why don't I just get back
16 to Mr. Bailey, if I could, and Mr. -- and Dr. Johnson.
17 Dr. Bailey, the assumption that you made in your models
18 were two -- you made only two assumptions. One was the --
19 in terms of system load, one was the 27-gigawatt case and
20 one was the 15-gigawatt case. Am I correct so far? Those
21 are the only two --

22 DR. BAILEY: For current flows.

23 MR. ROSENTHAL: Yes. Those are the only
24 two numbers you ran?

HEARING RE: CL&P and UI
JULY 27, 2004

1 DR. BAILEY: Yes.

2 MR. ROSENTHAL: Alright. What's the
3 maximum -- once these lines are up, it's going to be up to
4 the system and the economy and whatever else draws on them
5 to decide how much is going to run over them. What's the
6 maximum -- the maximum load these lines can carry over the
7 course of the next 30, 40, or 50 years?

8 DR. BAILEY: Dr. Johnson reminded me that
9 there was a data response in which load flows at 100
10 percent were provided. And Gary.

11 DR. JOHNSON: Yeah, basically --

12 MR. ROSENTHAL: What --

13 DR. JOHNSON: -- load flows at 80 percent
14 and 100 percent of the maximum capability of the lines I
15 believe are provided --

16 MR. ROSENTHAL: Okay --

17 DR. JOHNSON: -- as part of one of the --

18 MR. ROSENTHAL: What's -- we have 27
19 gigawatts. Where -- what range are we in when we talk
20 about the maximum load on these lines? Is it -- is it 50
21 gigawatts? Is it higher than 50 -- how much can these
22 lines carry?

23 MR. ZAKLUKIEWICZ: I think I testified to
24 that earlier this morning. I said the bundled 1590

HEARING RE: CL&P and UI
JULY 27, 2004

1 conductor could carry approximately 3,400 to 3,600
2 amperes. In theory that is the capability of the wires.

3 MR. ROSENTHAL: What's that in terms of
4 gigawatts?

5 MR. ZAKLUKIEWICZ: In terms of gigawatts
6 divide the 3400 by 166 and you'll get the gigawatts.

7 MR. ROSENTHAL: Okay.

8 MR. ZAKLUKIEWICZ: Approximately 2 -- 2,000
9 gigawatts --

10 MR. ROSENTHAL: Two thousand gigawatts?

11 MR. ZAKLUKIEWICZ: Approximately.

12 MR. ROSENTHAL: So -- okay.

13 MR. ZAKLUKIEWICZ: I mean -- yes?

14 MR. ROSENTHAL: And -- and assuming --

15 CHAIRMAN KATZ: Can you lean in --

16 A VOICE: Two thousand megawatts --

17 MR. ZAKLUKIEWICZ: I mean -- I mean --

18 A VOICE: Two thousand megawatts --

19 MR. ZAKLUKIEWICZ: I mean 2,000 --
20 megawatts.

21 MR. ROSENTHAL: How many gigawatts is that?

22 MR. ZAKLUKIEWICZ: Which would be two
23 gigawatts. Okay?

24 MR. ROSENTHAL: Let me just ask Dr. Johnson

HEARING RE: CL&P and UI
JULY 27, 2004

1 and Dr. Bailey, in terms of the assumption that you made
2 as to the use of the 27-gigawatt case as being the highest
3 of the numbers you ran to come up with these EMF exposure
4 figures that you've presented, is there any reason that
5 you didn't use a higher number projecting out?

6 DR. BAILEY: Essentially, the company had
7 provided us with what they had considered based upon their
8 modeling with the worst case estimate. And also you have
9 to remember that the load flows that were just mentioned -
10 - also if this line is connected to any portion that's
11 underground, the underground portion of the line could not
12 carry those kinds of current. So the proposed 345-kV
13 circuit consisting of both overhead and underground
14 sections would have to operate at maximum -- at some
15 current flow well below that maximum conductor rating that
16 Mr. Zak just described.

17 MR. ROSENTHAL: Well, at any --

18 MR. ZAKLUKIEWICZ: I think I can help you
19 out --

20 MR. ROSENTHAL: Go ahead --

21 MR. ZAKLUKIEWICZ: -- on that a little bit.
22 When we looked at the stressed system, we took out as much
23 generation as you basically could, also taking into
24 account what the import limits are into the State of

HEARING RE: CL&P and UI
JULY 27, 2004

1 Connecticut. So that when you look at the case of 27
2 gigawatts and you look at minimum generation, you also
3 have -- concurrent is a maximum -- basically a maximum
4 import into the State of Connecticut and you cannot
5 increase the flows on those lines any greater because of
6 the limitations into the State of Connecticut and the rest
7 of the generation that's on in the State. So if we're
8 into a case where we've got flows greater --
9 hypothetically greater than what we've projected to be,
10 which is the max flows on the line, the lights are going
11 out in Southwest Connecticut to balance that flow because
12 you just can't bring any more power into the State of
13 Connecticut with the transmission lines that are in place
14 at this time.

15 MR. ROSENTHAL: Alright, so that's a
16 projection of a worst case scenario today, is that
17 correct?

18 MR. ZAKLUKIEWICZ: That is correct.

19 MR. ROSENTHAL: But -- and it was a
20 projection that was done of a worst case scenario out to
21 2007 or '08 I believe of -- instead of 24.7 gigawatts of
22 27.7 gigawatts. And I think we heard reference this
23 morning to a GE study that used a 30-gigawatt number. But
24 that's within a relatively short period of time, correct?

HEARING RE: CL&P and UI
JULY 27, 2004

1 It's current -- it's what we -- what we know -- what we do
2 today?

3 MR. ZAKLUKIEWICZ: I think I've already
4 testified that if we're going to reach 27.7 and beyond,
5 something else has to be done. And I've said that a
6 number of times before the Siting Council --

7 MR. ROSENTHAL: Okay --

8 MR. ZAKLUKIEWICZ: -- because you just
9 can't serve the load.

10 MR. ROSENTHAL: And Dr. Bailey and Dr.
11 Johnson, you would agree with me that if what the future
12 brings is a heavier load on some locations of this system,
13 that's going to result in higher EMF readings than the
14 readings you've projected? Isn't that true?

15 CHAIRMAN KATZ: Doesn't it --

16 DR. BAILEY: Not necessarily.

17 CHAIRMAN KATZ: Doesn't it matter where the
18 load -- where the current --

19 DR. JOHNSON: Yes --

20 CHAIRMAN KATZ: -- is being served from?

21 DR. BAILEY: Right --

22 DR. JOHNSON: It depends on those lines and
23 what the loading is going to be under those -- out in the
24 future scenarios --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. ROSENTHAL: It depends on variables
2 that are hard to predict right now, isn't that right?

3 DR. JOHNSON: It depends on variables that
4 weren't modeled right now.

5 MR. ROSENTHAL: Yes. And even the
6 variables that were modeled that required you to make
7 assumptions about those variables, that may not be the
8 case on a given -- in the future?

9 DR. JOHNSON: Do you want to clarify --

10 MR. ROSENTHAL: Well, you made an
11 assumption --

12 DR. JOHNSON: -- or be a little more
13 specific on that?

14 MR. ROSENTHAL: You made an assumption as
15 to -- if you did, you made an assumption as to topography
16 and as to climate and as to all the factors that go into
17 the way the system will operate, did you not?

18 DR. JOHNSON: We looked at conductor
19 heights and we also specifically at those locations looked
20 at the conductor heights at those locations, the load
21 flows, the line positioning.

22 MR. ROSENTHAL: Alright. And all of that
23 impute into your computer model affects the output from
24 the computer model, correct?

HEARING RE: CL&P and UI
JULY 27, 2004

1 DR. JOHNSON: It will have some impact,
2 yes.

3 MR. ROSENTHAL: But one thing we do know,
4 Dr. Bailey, for sure is that distance results in a
5 decrease of EMF no matter what, correct?

6 DR. BAILEY: That's -- that's I would say
7 an overly broad generalization. There are some cases
8 where the fields from a particular line design will reduce
9 as you go away from the conductors close to the right-of-
10 way for example and then increase as you go further away
11 from the line. So if you're comparing right underneath
12 the line to some distance far away, that's true, but there
13 are cases where in fact as you move further away from the
14 line, the fields may increase somewhat.

15 MR. ROSENTHAL: Well, your testimony
16 indicated on page 2 that -- that reduction in the strength
17 of magnetic field with distance from the conductors is
18 self-evident. It's -- it's almost a given, is it not?

19 DR. BAILEY: Over large distances, yes.

20 MR. ROSENTHAL: And that's confirmed in
21 Exhibit 1 to your testimony, that is that you have the
22 right-of-way and as you move out from the right-of-way,
23 the EMF readings go down, correct?

24 DR. BAILEY: Generally speaking, yes.

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. ROSENTHAL: Yes. And -- and there was
2 -- and if you were -- if you're 300 -- if -- and that's
3 the buffer zone issue, correct, that is that you're -- the
4 creation of the buffer zone is something that's going to
5 give distance between the source of the magnetic field and
6 the protected population? That's --

7 MR. FITZGERALD: Objection --

8 MR. ROSENTHAL: -- that's what it's doing,
9 right?

10 MR. FITZGERALD: Objection, a compound
11 question.

12 CHAIRMAN KATZ: Just rephrase it please.

13 MR. ROSENTHAL: Isn't that what a buffer
14 zone -- that's what the buffer zone is accomplishing, it's
15 creating a buffer between the source of the magnetic --
16 generation of the magnetic field and the population you're
17 trying to protect because distance will give that
18 protection in almost every case?

19 DR. BAILEY: Mr. Rosenthal, the whole
20 purpose of this hearing is to discuss what that definition
21 --

22 MR. ROSENTHAL: Exactly --

23 DR. BAILEY: -- of the buffer zone is --

24 MR. ROSENTHAL: Exactly. And distance is

HEARING RE: CL&P and UI
JULY 27, 2004

1 something we know will give us that protection as opposed
2 to these variables that are hard to project into the
3 future, isn't that true?

4 DR. BAILEY: It's one of the
5 considerations, certainly. It's not --

6 CHAIRMAN KATZ: Mr. Rosenthal --

7 DR. BAILEY: -- by any means an exclusive
8 aspect by which to consider buffer zones.

9 CHAIRMAN KATZ: Mr. Rosenthal, we're
10 getting ready to wrap-up for today. Are we at a good
11 point in your cross-examination --

12 MR. ROSENTHAL: Yes --

13 CHAIRMAN KATZ: -- to resume tomorrow
14 morning?

15 MR. ROSENTHAL: Yes.

16 CHAIRMAN KATZ: Okay, what I'd like to do
17 is just spend the next five minutes procedurally.
18 Tomorrow morning we will take up any procedural matters
19 that pop up over night. And then Mr. Rosenthal will
20 continue his cross-examination and then we'll follow up by
21 cross-examination by Council staff and then Council
22 members of this panel.

23 Do we need a prehearing conference, I think
24 not, tomorrow morning? We might have one Thursday, but I

HEARING RE: CL&P and UI
JULY 27, 2004

1 think we're all set for tomorrow. Then following cross-
2 examination of this panel, we are going to get into
3 preferred town routes for the towns who wish to
4 participate, hopefully going north to south -- yes, Mr.
5 Fitzgerald?

6 MR. FITZGERALD: There's other testimony
7 submitted on buffer zones. I don't want to deny --

8 MR. ROSENTHAL: Dr --

9 MR. FITZGERALD: -- Dr. Bell --

10 CHAIRMAN KATZ: Oh, I'm sorry --

11 MR. ROSENTHAL: Dr. Bell and Dr. Rabinowitz
12 were going to be here first thing tomorrow. I --

13 CHAIRMAN KATZ: Let's go back to the
14 hearing program -- thank you --

15 CHAIRMAN KATZ: Who has a direct case on
16 the subject of EMF reduction and buffer zones other than
17 Mr. Rosenthal's client? Anyone else?

18 MR. FITZGERALD: I don't --

19 CHAIRMAN KATZ: Okay. We will do cross-
20 examination by the Council, then we will go into the
21 direct case of the Woodbridge organizations, and then we
22 will go into preferred town routes.

23 Do we have any idea, Mr. Fitzgerald, how
24 much cross-examination you have of the --

HEARING RE: CL&P and UI
JULY 27, 2004

1 MR. FITZGERALD: The testimony is short,
2 then the cross-examination will be short.

3 CHAIRMAN KATZ: Well, the testimony is
4 prefilled.

5 MR. FITZGERALD: Well, yeah, but it's also
6 short.

7 CHAIRMAN KATZ: Yes -- oh -- I thought you
8 said if -- I thought you said if. Okay.

9 Are there any other procedural matters that
10 we need to go over before we adjourn today? I'm taking
11 silence as acquiescence. And we are adjourned until 10:00
12 o'clock tomorrow morning.

13

14 (Whereupon, the hearing adjourned at 5:00
15 p.m.)

HEARING RE: CL&P and UI
JULY 27, 2004

INDEX OF WITNESSES

	PAGE
APPLICANTS' PANEL OF WITNESSES:	
Re: Split-Phasing Presentations	
Anne Bartosewicz	16
Albert Cretella	18
Dr. William Bailey	35
Re: New Exhibits & Split-Phasing	
Dr. William Bailey	
Anne Bartosewicz	
Roger Zaklukiewicz	
Dr. Gary Johnson	
Cyril Welter	
Direct Examination by Mr. Fitzgerald	41
Cross-Examination by Rep. Adinolfi	60
Cross-Examination by Mr. Knapp	73
Cross-Examination by Mr. Frank	89
Cross-Examination by Ms. Kohler	115
Cross-Examination by Mr. Stone	148
Cross-Examination by Mr. Wertheimer	174
Cross-Examination by Mr. Rosenthal	196

INDEX OF APPLICANTS' EXHIBITS

	NUMBER	PAGE
Revised May 28 th EMF Mitigation of Over-Head Route, submitted 7/21/04	96	48
Updated Calculation of Fault Rate Data For XLPE Circuits by B. Gregory	113	42
Memo Describing Reliability and Operating Committee	115	52
Interrogatory Responses	116	52

HEARING RE: CL&P and UI
JULY 27, 2004

Interrogatory Responses	117	52
G.E. Report prepared for ROC Group	118	52
G.E. Report prepared for ROC Group	119	52
Interrogatory Responses	120	52
Letter to M. Boord	121	54
Report from ROC Group	122	52
Testimony on HVDC by R. Zaklukiewicz	123	52
Supplemental Testimony of Dr. W. Bailey	124	48
Thermal and Voltage Analysis	125	52
Letter from B. Henebry	127	54
Wetland Map & Cover Letter for Sections 1 and 2	130	54
Load Flow Study, Re: East Shore Addendum No. 4 to Supplemental	131	52
Map satisfying CGS 16-501(a)(1)	132	54
Resume of A. Cretella	133	71
Resume of Dr. G. Johnson	134	71
DVD Spilt-Phase Presentation by Dr. W. Bailey	135	71
Split-Phase Slide Presentation Copy	136	174

CERTIFICATE

I, Paul Landman, a Notary Public in and for the State of Connecticut, and President of Post Reporting Service, Inc., do hereby certify that, to the best of my knowledge, the foregoing record is a correct and verbatim transcription of the audio recording made of the proceeding hereinbefore set forth.

I further certify that neither the audio operator nor I are attorney or counsel for, nor directly related to or employed by any of the parties to the action and/or proceeding in which this action is taken; and further, that neither the audio operator nor I are a relative or employee of any attorney or counsel employed by the parties, thereto, or financially interested in any way in the outcome of this action or proceeding.

In witness whereof I have hereunto set my hand and do so attest to the above, this 3rd day of August, 2004.

A handwritten signature in cursive script that reads "Paul Landman". The signature is written in black ink and is positioned to the right of the main body of text.

Paul Landman
President

Post Reporting Service
1-800-262-4102