

In The Matter Of:

*STATE OF CONNECTICUT
CONNECTICUT SITING COUNCIL*

*Docket No. 473
June 20, 2017*

*BCT Reporting LLC
PO Box 1774
Bristol, CT 06010
860.302.1876*