

STATE OF CONNECTICUT
CONNECTICUT SITING COUNCIL

Petition No. 1558

Petition from Community Power Group, LLC, for a
Declaratory Ruling, Pursuant to Connecticut General
Statutes 4-176 and 16-50k, for the Proposed
Construction, Maintenance and Operation of a
4-megawatt AC Solar Photovoltaic Electric Generating
Facility Located at 24 Middle Road, Ellington,
Connecticut, and Associated Electrical
Interconnection

Zoom Remote Council Meeting (Teleconference),
on Thursday, May 18, 2023, beginning at 2 p.m.

H e l d B e f o r e :

JOHN MORISSETTE, Member and Presiding Officer

1 **A p p e a r a n c e s :**

2 **Council Members:**

3 **JOHN MORISSETTE, (Hearing Officer)**

4
5 **BRIAN GOLEMBIEWSKI,**

6 **DEEP Designee**

7
8 **QUAT NGUYEN,**

9 **PURA Designee**

10
11 **ROBERT HANNON,**

12 **Temporary designee for Member Daniel P. Lynch, Jr.**

13
14 **ROBERT SILVESTRI**

15
16 **Council Staff:**

17 **MELANIE BACHMAN, ESQ.,**

18 **Executive Director and Staff Attorney**

19
20 **ROBERT MERCIER**

21 **Siting Analyst**

22
23 **LISA FONTAINE,**

24 **Fiscal Administrative Officer**

25

1 A p p e a r a n c e s:(cont'd)

2 For COMMUNITY POWER GROUP, LLC:

3 MURTHA CULLINA

4 One Century Tower

5 265 Church Street, 9th Floor

6 New Haven, CT 06510

7 By: BRUCE L. MCDERMOTT, ESQ.

8 BMcDermott@murthalaw.com

9 203.772.7787

10 And: RAQUEL HERRERA-SOTO, ESQ.

11 RHerreraSoto@murthalaw.com

12 203.772.7736

13

14

15

16

17

18

19

20

21

22

23

24

25

1 (Begin: 2 p.m.)

2
3 THE HEARING OFFICER: Good afternoon, ladies and
4 gentlemen. Can everyone hear me okay? Very good.
5 Thank you.

6 I'd like to call this remote public hearing
7 to order this Thursday, May 18, 2023, at 2 p.m.
8 My name is John Morissette, member and presiding
9 officer of the Connecticut Siting Council.

10 Other members of the Council are Brian
11 Golembiewski, designee for Commissioner Katie
12 Dykes of the Department of Energy and
13 Environmental Protection; Quat Nguyen, designee
14 for Chairman Marissa Paslick Gillett of the Public
15 Utilities Regulatory Authority.

16 We have Robert Silvestri; and Robert Hannon,
17 temporary designee for member Daniel P. Lynch, Jr.

18 Members of the staff are Melanie Bachman,
19 Executive Director and Staff Attorney; Robert
20 Mercier, siting analyst; and Lisa Fontaine, fiscal
21 administrative officer.

22 If you haven't done so already, I ask that
23 everyone please mute their computers' audio,
24 and/or telephones now. Thank you.

25 This hearing is held pursuant to the

1 provisions of Title 16 of the Connecticut General
2 Statutes and of the Uniform Administrative
3 Procedure Act, upon a petition from Community
4 Power Group, LLC, for a declaratory ruling
5 pursuant to Connecticut General Statutes Section
6 4-176 and 1650k for the proposed construction,
7 maintenance, and operation of a four-megawatt AC
8 solar voltaic electric generating facility at 24
9 Middle Road in Ellington, Connecticut, and its
10 associated electrical interconnection.

11 This petition was received by the Council on
12 January 30, 2023. The Council's legal notice of
13 the date and time of this remote public hearing
14 was published in the Journal Inquirer on April 2,
15 2023.

16 On this Council's request, the Petitioner
17 erected a sign in the vicinity of the proposed
18 site so as to inform the public of the name of the
19 Petitioner, the type of facility, the remote
20 public hearing date, and contact information for
21 the Council, including the website and phone
22 number.

23 As a reminder to all, off-the-record
24 communication with members of the Council or a
25 member of the council staff upon the merits of

1 this petition is prohibited by law.

2 The parties and intervenors to the proceeding
3 are as follows. The Petitioner, Community Power
4 Group, LLC, represented by Bruce L. McDermott,
5 Esquire, and Raquel Herrera-Soto, Esquire, from
6 Murtha Cullina, LLP.

7 We will proceed in accordance with the
8 prepared agenda, a copy of which is available on
9 the Council's Petition Number 1558 webpage, along
10 with the record of this matter, the public hearing
11 notice, instructions for public access to this
12 remote public hearing, and the Council's citizens'
13 guide to Siting Council's procedures.

14 Interested persons may join any session of
15 this public hearing to listen, but no public
16 comments will be received during the 2 p.m.
17 evidentiary session. At the end of the
18 evidentiary session we will recess until 6:30 p.m.
19 for the remote public comment session.

20 Please be advised that any person may be
21 removed from the remote evidentiary session or
22 public comment session at the discretion of the
23 Council. The 6:30 p.m. public comment session
24 will be reserved for members of the public who
25 signed up in advance to make brief statements into

1 the record.

2 I wish to note that the Petitioner, the
3 parties, and interveners, including the
4 representatives and witnesses, are not allowed to
5 participate in the public comment session.

6 I also wish to note for those who are
7 listening and for the benefits of your friends and
8 neighbors who are unable to join us for this
9 remote public comment session, that you or they
10 may send written statements to the Council within
11 30 days of the date hereof, either by mail or by
12 e-mail, and such written statements will be given
13 the same weight as if spoken during the remote
14 public comment session.

15 A verbatim transcript of the remote public
16 hearing will be posted on the Council's Petition
17 Number 1558 webpage, and deposited with the
18 Ellington Town Clerk's office for the convenience
19 of the public.

20 Please be advised that the Council does not
21 issue permits for stormwater management. If the
22 proposed project is approved by the Council, a
23 Department of Energy and Environmental
24 Protection -- a DEEP stormwater permit is
25 independently required. DEEP could hold public

1 hearings on any stormwater permit application.

2 Please be advised that the Council's project
3 evaluation criteria under the statute does not
4 include the consideration for property values.

5 The Council will take a 10 to 15-minute break
6 at a convenient juncture at around 3:30 p.m.

7 We'll now move on to administrative notices
8 taken by the Council. I wish to call your
9 attention to those items shown on the hearing
10 program marked as Roman numeral 1B, items 1
11 through 99.

12 Does the Petitioner have any objection to the
13 items that the Council has administratively
14 noticed? Mr. McDermott?

15 MR. MCDERMOTT: Thank you, Mr. Morissette.

16 No objections from Community Power Group to
17 the administrative notice list.

18 THE HEARING OFFICER: Thank you, Attorney McDermott.

19 Accordingly, the Council hereby
20 administratively notices these existing documents.
21 We will now continue with the appearance of the
22 Petitioner.

23 Will the Petitioner present its witness panel
24 for purposes of taking the oath? We will have
25 Attorney Bachman administrate the oath when you're

1 ready. Attorney McDermott, please begin.

2 MR. McDERMOTT: Thank you, Mr. Morissette. Bruce
3 McDermott from the law firm Murtha Cullina. I'm
4 joined by my colleague Raquel Herrera-Soto.

5 And I'm going to ask Ms. Herrera-Soto to
6 undertake the introduction of the Witnesses and
7 the introduction of the exhibits into the record,
8 if that's okay with you, Mr. Morissette?

9 THE HEARING OFFICER: Certainly, Attorney McDermott.

10 Attorney Soto, please continue?

11 MS. HERRERA-SOTO: Good afternoon, Councilmembers.

12 THE HEARING OFFICER: Unfortunately, we're getting a
13 lot of feedback through your microphone.

14 MS. HERRERA-SOTO: Good afternoon, Councilmembers,
15 council staff, and Attorney Bachman. Raquel
16 Herrera-Soto from Martha Cullina on behalf of the
17 Petitioner, Community Power Group, LLC.

18 The witness panel today for the Petitioner
19 consists of the following. Mr. Michael Borkowski,
20 founder of Community Power Group, LLC; Ms. Amberli
21 Young, senior project manager with Community
22 Power, LLC; and Eric LaBatte from All Points
23 Technology Corporation.

24 The panel is ready to be sworn.

25 THE HEARING OFFICER: Thank you, Attorney Herrera-Soto.

1 Attorney Bachman?

2 MS. BACHMAN: Thank you, Mr. Morissette. Could the
3 witnesses please raise your right hand?

4 Do you solemnly swear or sincerely affirm as
5 the case may be that the evidence you shall give
6 concerning this case is the truth, the whole
7 truth, and nothing but the truth, so help you God
8 upon penalty of perjury?

9 MICHAEL BORKOWSKI: I do.

10 AMBERLI YOUNG: I do.

11 ERIC LaBASSE: I do.

12 MS. BACHMAN: Thank you.

13 M I C H A E L B O R K O W S K I,

14 A M B E R L I Y O U N G,

15 E R I C L a B A T T E,

16 called as witnesses, being sworn by

17 THE EXECUTIVE DIRECTOR, were examined and
18 testified under oath as follows:

19
20 MS. BACHMAN: Thank you.

21 THE HEARING OFFICER: Thank you, Attorney Bachman.

22 Attorney Herrera-Soto, please begin by
23 verifying all the exhibits by the appropriate
24 sworn witnesses.

25 MS. HERRERA-SOTO: Mr. Borkowski, regarding Exhibit

1 Number 1, which is the company's petition for a
2 declaratory ruling and all associated attachments;
3 Exhibit Number 2, which is the Petitioner's
4 community efforts submission dated March 9, 2023;
5 Exhibit Number 3, which is the Petitioner's
6 responses to council interrogatories, set one,
7 dated March 22, 2023; Exhibit Number 4, the
8 Petitioner's response to Council Interrogatory
9 Number 36, dated April 7, 2023; and Exhibit Number
10 5, the Petitioner's responses to council
11 interrogatories, set two, dated April 25, 2023;
12 are you familiar with those exhibits?

13 THE WITNESS (Borkowski): Yes, I am.

14 MS. HERRERA-SOTO: Did you prepare or assist in the
15 preparation of those exhibits?

16 THE WITNESS (Borkowski): Yes, I did.

17 MS. HERRERA-SOTO: Do you have any changes or
18 corrections to offer in connection to those
19 exhibits?

20 THE WITNESS (Borkowski): No, I don't.

21 MS. HERRERA-SOTO: And do you adopt those exhibits in
22 this proceeding?

23 THE WITNESS (Borkowski): Yes, I do.

24 MS. HERRERA-SOTO: Regarding Exhibit Number 6, which is
25 the Petitioner's signed posting affidavit dated

1 May 4, 2023, Ms. Young, did you sign that
2 affidavit?

3 **THE WITNESS (Young):** Yes, I did.

4 **MS. HERRERA-SOTO:** Do you have any changes or
5 corrections to offer in connection to that
6 affidavit?

7 **THE WITNESS (Young):** No, I do not.

8 **MS. HERRERA-SOTO:** And do you adopt that as an exhibit
9 in this proceeding?

10 **THE WITNESS (Young):** I do.

11 **MS. HERRERA-SOTO:** So with that, Mr. Morissette, I move
12 that Exhibit Numbers 1 through 6 be admitted as
13 full exhibits in this proceeding.

14 **THE HEARING OFFICER:** Thank you, Attorney Herrera-Soto.

15 The exhibits are hereby admitted. Thank you.

16 We'll now begin with cross examination of the
17 Petitioner by the Council, starting with Mr.
18 Mercier, followed by Mr. Silvestri.

19 Mr. Mercier?

20 **MR. MERCIER:** Thank you. I'm going to begin by
21 reviewing the first set of interrogatory
22 responses. These are dated March 22nd, and I'm
23 going to begin with response number four. That
24 had to do with how the site is defined.

25 Included with that response was a diagram.

1 It's in the back of the document. It's actually
2 on PDF page 48, if you're using the Council's web
3 link. It's an aerial image of the site with
4 various dashed lines and solid lines. So I'll
5 begin with, actually, the diagram.

6 So just to confirm, is the red line on this
7 diagram -- it's marked solar site on the diagram.

8 Is the red line the host property boundary?

9 THE WITNESS (Borkowski): I'm pulling it up right now.

10 I'm looking at it.

11 And yes, the red line is the boundary line.

12 MR. MERCIER: Okay. And then the yellow dashed line
13 with the hatching and that, that is what you're
14 going to call the facility site. Is that correct?

15 THE WITNESS (Borkowski): Yes, that is correct.

16 MR. MERCIER: Okay. Now with that facility site as
17 defined by the yellow dashed lines, does that have
18 its own lease with the landowner?

19 THE WITNESS (Borkowski): Yes, that is. Yes, that is a
20 lease with the landowner.

21 THE HEARING OFFICER: Mr. Mercier, if I may interrupt
22 here for a moment?

23 MR. MERCIER: Sure.

24 THE HEARING OFFICER: If folks could identify
25 themselves when answering questions, that would be

1 helpful for the Court Reporter. Thank you.

2 THE WITNESS (Borkowski): Yes. So this is Mike
3 Borkowski with Community Power Group, who is the
4 one responding to Mr. Mercier's questions.

5 MR. MERCIER: And so continuing on with this map,
6 there's the green box at the north end of the
7 site, and I believe that is the community garden,
8 slash, beekeeper area. Correct?

9 THE WITNESS (Borkowski): Yes, correct.

10 That's Mr. Borkowski again.

11 MR. MERCIER: Now, would that area have its own
12 separate lease, separate from the lease of the
13 solar facility site?

14 THE WITNESS (Borkowski): That is covered under a
15 different component of the lease, and outside of
16 the solar facility leased area.

17 MR. MERCIER: Okay. So it still would be under your
18 "control," for lack of a better word?

19 THE WITNESS (Borkowski): Yes, but separate from the
20 solar leased area.

21 MR. MERCIER: Okay. Thank you.

22 Staying with this diagram, I'm going to ask a
23 couple of questions about Interrogatory 17 as part
24 of this set, and that interrogatory had to do with
25 the inverter locations?

1 THE WITNESS (Borkowski): Yes.

2 MR. MERCIER: And with the inverter location response,
3 it basically said, you know, the Community Power
4 Group would make every effort to locate them
5 towards the interior of the site.

6 THE WITNESS (Borkowski): Yes?

7 MR. MERCIER: And it states that they would be
8 installed at the end of the panel columns.

9 What do you mean by the term, "column?"

10 Are you talking in the rows themselves, or
11 something else?

12 THE WITNESS (Borkowski): Yeah -- yeah, so this is
13 Mr. Borkowski responding to those questions. And
14 the columns are -- the solar columns are
15 situated -- or the solar panels are situated in
16 columns, and those inverters are sprinkled
17 throughout the solar farm at the ends of each
18 column based on however many panels are coming
19 together that go into one particular inverter.

20 MR. MERCIER: Okay. Looking at the solar site on this
21 map there's a middle aisle, I'll call it, that
22 kind of bisects the site horizontally.

23 THE WITNESS (Borkowski): Yes.

24 MR. MERCIER: In the north -- north section, south
25 section. Is the intent to place them along that

1 aisle at each end of each row, whether they're
2 northern rows or southern rows?

3 THE WITNESS (Borkowski): Yes, the intent is to do it
4 within that middle row.

5 MR. MERCIER: Would there be circumstances where the
6 inverters may be placed closer to the, I'll just
7 say, north side, the fencing up in that direction
8 near the transformers? Or maybe even along the
9 east side towards the fence?

10 THE WITNESS (Borkowski): So, it is in the -- the
11 interest of the design to keep the inverters as
12 close to the panels as possible, because the
13 further away from the panels they are, you have
14 losses, and so we want to invert it into AC
15 electric as soon as possible to limit the amount
16 of losses. So we do want them as close to the
17 panels as possible, inherently, just from an
18 efficiency standpoint.

19 Could it be that closest to the panel means
20 that it is at the end of a column on the north
21 side of the facility? Potentially, there might be
22 one or two there, but it really comes down to
23 being as close to the panels that are being
24 inverted as possible.

25 MR. MERCIER: For the situation you just spoke about,

1 what would be the factor? Why would you have to
2 place them, we'll just say, one or two along the
3 north end of the -- I'll call them columns now --
4 along the columns near the northern fence, rather
5 than the interior location we talked about
6 earlier?

7 **THE WITNESS (Borkowski):** Yeah. So there's an
8 approximate, you know, ten columns per inverter,
9 and that's an approximate just to give an example.

10 And so depending on where that ten columns
11 actually ended, you know, whether it's at the top
12 of -- because it's a string that goes through the
13 column. So depending on where that actually ended
14 would determine where that inverter would be.

15 Now these inverters, they do -- they -- they
16 really don't make any noise at all. So it's --
17 there they're just a small kind of sub-inverter.

18 **MR. MERCIER:** Are there fans? Or any -- are there fans
19 associated with these inverters?

20 **THE WITNESS (Borkowski):** No.

21 **MR. MERCIER:** Okay. So would they emit, like, a
22 buzzing noise? I mean, there is a noise
23 characteristic level, and I'm just trying to
24 figure out what, what causes the noise itself if
25 it's not a fan or something else like that.

1 THE WITNESS (Borkowski): Let me just -- I just want to
2 look the actual decibels up on a piece of paper
3 right now so that I can give that to you.

4 Hold on one moment while I look at that.

5 So it is 65 decibels at 1 meter from an
6 individual inverter. At the property line we
7 calculated it to be 30 decibels at the closest
8 point, which is the -- from a sound perspective,
9 30 decibels is the same as the noise you would
10 hear in a rural night.

11 MR. MERCIER: Thank you. I understand that. My
12 concern is just any type of noise that isn't there
13 now. You know, if you have a number of these
14 inverters near each other, you know, it could
15 amplify.

16 THE WITNESS (Borkowski): Right --

17 MR. MERCIER: (Unintelligible) -- response.

18 THE WITNESS (Borkowski): Sure.

19 Can I add to that response, Mr. Mercer?

20 MR. MERCIER: Sure. Thank you.

21 THE WITNESS (Borkowski): Sure. So this -- this --
22 the -- there is another solar facility in the area
23 that for whatever reason put all their inverters
24 80 feet from the road all in a little line. It's
25 actually inefficient electrical design.

1 As a part of this application we are not
2 proposing to do that. We are proposing to have
3 our inverters spread out, dispersed throughout the
4 entire solar facility, and not be in any one
5 concentrated area. So that we -- we wouldn't have
6 any of that consolidation of inverter equipment in
7 any one particular area.

8 And therefore, the noise from any particular
9 inverter would not be amplified. And therefore,
10 in any property line you wouldn't be able to
11 discern the difference between a quiet night and
12 the solar facility.

13 MR. MERCIER: Okay. Thank you. Staying with this
14 diagram, there's, you know, there's a row of what
15 looks like evergreens or something along the north
16 property line and the northwest property line?

17 THE WITNESS (Borkowski): Yes.

18 MR. MERCIER: I wouldn't say property line, excuse me,
19 the solar site itself. It looks like you're going
20 to do some plantings.

21 THE WITNESS (Borkowski): Yes.

22 MR. MERCIER: And actually, that's the next diagram
23 that shows the plantings.

24 THE WITNESS (Borkowski): Yeah.

25 MR. MERCIER: The 15 feet, and they spread and stay 16

1 feet apart. What type of plantings are you
2 proposing here? Are they some type of evergreen?

3 THE WITNESS (Borkowski): Yes, those are green giant
4 evergreen trees that grow fairly quickly and to,
5 you know, I think a 20- to 25-foot height. It's
6 located on the north side of the facility, so we
7 don't really have any concerns with shading or
8 anything like that.

9 So we did put some robust evergreens along
10 that front corridor.

11 MR. MERCIER: Do you have information as to what the
12 height would be at planting?

13 THE WITNESS (Borkowski): We typically, and I believe
14 in this application, have put plantings of four to
15 six feet so that we have -- we find that that has
16 the greatest living rate.

17 You know, when you're transporting plants
18 that start getting bigger, especially when they
19 have root balls that typically spread wide, that
20 if you transplant them when they're too large, you
21 have a higher mortality rate because they -- they
22 don't grow as well.

23 So on the majority of our solar facilities we
24 do four to six foot, which we find is a good
25 balance with root ball and long-term growth rates.

1 MR. MERCIER: Now, once the plantings, you know, are
2 installed what's your inspection protocol to
3 ensure survivability?

4 THE WITNESS (Borkowski): So we have somebody that goes
5 out there, you know, for the first several years,
6 every, you know, couple months, especially over
7 the summer months for maintenance, and just
8 checking on the general facility.

9 And so during that growth time they would be
10 inspected two to three times per year.

11 MR. MERCIER: Say if there was a couple that died off
12 for whatever reason and you would have to -- would
13 you replace them, first of all?

14 THE WITNESS (Borkowski): Yes.

15 MR. MERCIER: And if so, what's the opportune planting
16 time to do that?

17 THE WITNESS (Borkowski): The opportune time for
18 replanting is in the fall or early in the spring
19 to maximize their growth and -- and potential for
20 not having any further issues with the -- with the
21 tree and location.

22 MR. MERCIER: Okay. The life of this project, I
23 believe, is 20, 25 years. And so would there be
24 annual inspections every year, you know, past the
25 initial growing stage to ensure these are --

1 THE WITNESS (Borkowski): Yes.

2 MR. MERCIER: And I believe you said they might get to
3 a height of 25 feet or so?

4 THE WITNESS (Borkowski): Yes.

5 MR. MERCIER: Is there any reason you would have to
6 take them down at a certain height or --

7 THE WITNESS (Borkowski): No. No.

8 MR. MERCIER: Okay. Now, looking at the, again, the
9 north side of the proposed fence where you have
10 the shrubs in the northwest corner there, is it
11 possible to put any type of solid fencing there in
12 addition to the landscaping, just in case there's
13 any minor noise issue that could arise from the
14 inverters?

15 Even though it may pass, but just to maybe
16 deflect some noise away if there is noise?

17 THE WITNESS (Borkowski): It is possible for us to put
18 a different type of fencing there. Traditionally,
19 we have gone out of our way in this project to put
20 in what's called game fencing, which is a fencing
21 that is typically seen in more agricultural
22 settings where you have cows or sheep, and the
23 like.

24 And so, it really -- from other projects
25 we've gotten feedback that it really

1 de-commercializes a solar facility and makes it
2 much more of an agricultural-oriented project.
3 Amazing what a difference a fence can make.

4 It's much easier with a chain-link fence to
5 have it be more of, you know, have screening in it
6 that might provide some type of auditory buffer.

7 You know, in this situation, you know we
8 could certainly swap those things out. I don't
9 know that -- you know, we -- we could work if
10 that's important. I don't know that those
11 tradeoffs are worthwhile, but we can -- we could
12 work with you if that were something that was
13 important.

14 MR. MERCIER: Okay. Thank you. Staying with the
15 diagram, I'm looking at the -- it looks like
16 there's two, two transformers at a pad, you know,
17 near where the access road comes off Middle Road
18 right next to the site.

19 Is there any type of lighting associated with
20 that, either night lighting that goes on all the
21 time, or on a timer? Or no lighting at all?

22 THE WITNESS (Borkowski): No lighting at all.

23 MR. MERCIER: I'm going to go up one page back to where
24 it says solar site again. That was talked about
25 earlier with the dashed lines.

1 And on the right-hand side it says, number
2 one. And when I was reading the materials
3 associated with the petition, it was Exhibit B,
4 which was the distribution impact study. And
5 right where this number one was, there was an
6 interconnection line that ran from a transformer
7 that ran to Pinney Street.

8 And then there was a second transformer up
9 where it is now that ran to Middle Road. And it
10 seems like when you submitted the petition, the
11 design changed to have both transformers near
12 Middle Road and one interconnection point.

13 So what was the reason why the Pinney Road
14 interconnection wasn't abandoned as it was laid
15 out in the Exhibit B?

16 THE WITNESS (Borkowski): Yeah, so we --

17 MR. MERCIER: Yeah?

18 THE WITNESS (Borkowski): When we had filed the
19 interconnection, we had indicated to the utility
20 that there were two potential points of
21 interconnect, either on Pinney or Middle.

22 The utility then conducted its study and came
23 back to us suggesting that based on the electrical
24 infrastructure, as the utility sees it, that their
25 strong preference was for it to be off of Middle.

1 I don't under -- I don't know all the
2 electrical reasons for that. They don't tell us
3 that. They're just, by law, chartered to evaluate
4 different points of interconnection and -- and
5 then push forward with what they, the utility,
6 think is best.

7 And so they pushed us onto the Middle Road
8 point of interconnect. And from that point
9 forward, all the studies were conducted from --
10 from Middle Road and all, you know -- yes.

11 MR. MERCIER: Okay. Thank you for the explanation.

12 Now the map shows the main access to the site
13 for off Middle Road. Is it possible just to use a
14 temporary access for construction purposes that
15 extends off Pinney Street, you know, through that,
16 that field or along the edge of the field and
17 maybe around the proposed basin to the site,
18 rather than having construction traffic going down
19 Middle Road?

20 THE WITNESS (Borkowski): Sure. So a couple points
21 that I'd like to highlight for that, Mr. Mercer,
22 is one, if we do come off of Pinney Road, we would
23 be -- have to establish a road across that farm
24 field, which would stress that a portion of the
25 ag, you know, an agricultural portion of that

1 field. And the owner's intent is to continue to
2 maintain that for agricultural purposes.

3 The other component is in order for us to
4 have access coming out from that area, we would
5 have to do some -- take down some, some trees to
6 obtain access from Pinney going through that, you
7 know, kind of buffer area where there are trees to
8 get up to the hill.

9 And then there's -- there's a little bit of a
10 hill there, too, that would require some
11 additional, probably additional sediment control
12 and other types of implications of having large
13 trucks and the likes coming on and off that area.
14 And so it -- it would be quite an undertaking to
15 do that.

16 That said, I think there, there can be some
17 misconceptions as to how much construction traffic
18 there is for these facilities. For the most part,
19 it's just small vehicles, pedestrian vehicles,
20 whether they be small trucks or cars where people
21 are coming to work there, you know, anywheres
22 from, you know, typically in the -- around four
23 trucks. You know, a car is -- maybe as much as
24 eight, but there's not a lot of regular traffic.

25 And then there are periodic deliveries of

1 equipment where you perhaps have a larger truck
2 that's delivering panels or delivering racking,
3 but they're limited in number. There's
4 approximately eight of those that would happen
5 during the four-month construction period, and
6 they would be spread out.

7 So you wouldn't have, like, a line of trucks
8 given at any one point in time. It would kind of
9 be like one truck would come, deliver the racking,
10 go, and a couple weeks later maybe you get the
11 panels coming in.

12 So we don't anticipate any large incremental
13 traffic inconveniences or stresses on that, that
14 roadway.

15 MR. MERCIER: Okay. Let me just recap what you said
16 there. So for traffic, you're looking for
17 construction work when you're installing the
18 panels and racking system; you're going to have
19 maybe four to eight trucks associated with
20 workers?

21 THE WITNESS (Borkowski): Yeah --

22 MR. MERCIER: Or cars for that matter? Okay.
23 Vehicles?

24 THE WITNESS (Borkowski): Yeah.

25 MR. MERCIER: Where would they be parking?

1 THE WITNESS (Borkowski): Yeah, they'll be parking just
2 along the access road that we establish.

3 MR. MERCIER: Okay. And you know, the workers are
4 there. Then you're going to have shipments of
5 panels, and I think you said about eight trucks of
6 panels, roughly?

7 THE WITNESS (Borkowski): Kind of spread out over the
8 four-month construction period, yeah.

9 MR. MERCIER: Right. Then you'll have -- how about the
10 racking, the motorized racking?

11 How many truckloads do you need for that?

12 THE WITNESS (Borkowski): That's incorporated in all
13 that.

14 MR. MERCIER: Okay. And how about the inverters?

15 THE WITNESS (Borkowski): Yeah, that those are actually
16 really small. So that's not even like a large
17 truck that they get to work in.

18 MR. MERCIER: Okay.

19 THE WITNESS (Borkowski): It's almost, you know, it's
20 like a small UPS type truck.

21 MR. MERCIER: Would other equipment include -- would
22 you need like an excavator? Or a bulldozer, you
23 know, a racking rig?

24 What other types of equipment might you need?

25 THE WITNESS (Borkowski): Yeah, so there will be some

1 land moving devices that come in to establish the
2 water retention facilities that are being
3 proposed -- or not the water retention, but the,
4 you know, the -- the water, the water, stormwater
5 management solutions that we've suggested here.
6 They would be there for a short period of time.

7 The other relatively small device is -- is
8 not much larger than a forklift, and that's what's
9 utilized to put the -- the poles in the ground, to
10 pound the poles in the ground.

11 And there is, you know, kind of a small
12 crane. I've used the word "crane" lately, but
13 it's, you know, not too dissimilar from, like, a
14 crane that's used to cut a branch high up in a
15 tree, kind of that size of the vehicle. That just
16 brings -- to drop the transformers in place.

17 And that's really the extent of the large
18 equipment that would be utilized at the facility
19 over the four-month period.

20 MR. MERCIER: Thank you.

21 Referring to the crane, I believe in the
22 interrogatory set two, I think it was number 53,
23 there was something about an FAA form 7460 that
24 you were going to submit to the Federal Aviation
25 Administration for use of the temporary crane.

1 Has that been submitted, and was the response
2 received?

3 **THE WITNESS (Borkowski):** I'd like to refer to
4 Ms. Young to answer that question.

5 **THE WITNESS (Young):** Yes, this is Amberli Young,
6 Community Power Group. I apologize for the
7 reverb -- (unintelligible).

8 **THE WITNESS (Borkowski):** Turn yours off and just speak
9 loudly.

10 **THE WITNESS (Young):** Okay. Apologies, everyone.

11 So we did file those air hazard forms with
12 the FAA, and received no hazard predicted for our
13 temporary construction impact of the small crane.

14 **MR. MERCIER:** Thank you. I think the last question I
15 have has to do with a seed mix at the site. And I
16 believe the intent is to use -- the intent is to
17 have a sheep grazing occur at the site.

18 Is that correct?

19 **MS. HERRERA-SOTO:** That, that is our suggestion, yes.

20 **MR. MERCIER:** And that so the seed mix inside the solar
21 field, that would include, you know, forage-type
22 species for the sheep as well as maybe some
23 pollinators?

24 **MS. HERRERA-SOTO:** Yes.

25 **MR. MERCIER:** Okay. What seed mix would be used in the

1 stormwater basins? Is that a wetland seed mix?

2 Or is it going to be too dry to support that?

3 MS. HERRERA-SOTO: I'd like to ask Eric, if you're
4 prepared to answer that question?

5 THE WITNESS (LaBatte): Sure. This is Eric LaBatte
6 with All Points Technology Corporation.

7 The -- the seed mix -- well, the intent of
8 the basin is not to remain wet. It's to remain
9 dry. So we wouldn't have a wetland mix in there.
10 It would be just a standard sort of mix.

11 We could get you the actual cut sheet for it,
12 I guess, later on today, if that's acceptable.
13 It's not described in our drawings, but it
14 wouldn't be a wetland mix.

15 MR. MERCIER: I don't think I need the cut sheet. I
16 just wanted to know what it would be. Just like a
17 wildflower-type mix or, you know, a turf grass or
18 something, you know, just to kind of get the
19 general sense of what it might be.

20 But you could answer that later if you don't
21 have it.

22 THE WITNESS (LaBatte): No. I mean, I can't
23 specifically give you the exact specifications of
24 it, but it would be a grassy mix. I don't -- the
25 intent wouldn't be to have wildflowers or -- or a

1 wetland mix, just typical, like, meadow grass
2 mixture.

3 MR. MERCIER: Okay. Thank you.

4 I have no other questions at this time.

5 Thank you very much.

6 THE HEARING OFFICER: Thank you, Mr. Mercier.

7 We will now continue with cross-examination
8 of the Applicant by Mr. Silvestri, followed by
9 Mr. Nguyen. Mr. Silvestri, good afternoon.

10 MR. SILVESTRI: Good afternoon, Mr. Morissette. Thank
11 you. And good afternoon, everyone.

12 I'd like to start just looking briefly at
13 drawing OS-1. And the verification I'm looking at
14 for my question, when you look at the white dots
15 to the east and to the west of the proposed solar
16 area, I just want confirmation that those are the
17 wetland delineation flags. Is that correct?

18 THE WITNESS (Borkowski): This is Mike Borkowski for
19 the Community Power Group answering the question.

20 I'm just pulling up those documents right now
21 so I can confirm.

22 MR. SILVESTRI: Uh-huh.

23 THE WITNESS (Borkowski): And I'll be back with you in
24 just one moment.

25 Sorry. Could you just repeat that drawing?

1 MR. SILVESTRI: OS, dash, 1. That's the overall site
2 plan.

3 THE WITNESS (Borkowski): Yes, I can confirm that those
4 white -- those flags that you see is the wetland
5 delineation.

6 MR. SILVESTRI: Very good, thank you.

7 And for confirmation, there's going to be two
8 transformers also. Correct?

9 THE WITNESS (Borkowski): That is correct.

10 MR. SILVESTRI: The location of those, looking at
11 drawing OS-1, would they be just south of the
12 turnaround and the access road?

13 THE WITNESS (Borkowski): Yes.

14 MR. SILVESTRI: Great.

15 And how much oil would each transformer hold?

16 THE WITNESS (Borkowski): That is a good question. I
17 might have to be -- get back to the Council with
18 the answer to that question.

19 MR. SILVESTRI: Yeah, possibly if you could look at
20 that during the break and get back to us
21 afterwards, I'd appreciate that.

22 Now my followup on that is, transformers
23 typically do not have secondary containment. So
24 the question on the transformers, will they be
25 equipped with low-level oil alarms?

1 THE WITNESS (Borkowski): We will have to get back to
2 you with the answer to that question as well.

3 MR. SILVESTRI: All right. My concern is, how would
4 you know if the transformers are leaking oil? And
5 a low-level alarm would give you that information.

6 But related to that with the transformers,
7 would the ground adjacent to or around the
8 transformers be somehow sloped or maybe somewhat
9 bermed there?

10 If there is any leak of oil, that it would
11 impede the flow from going one way or another?

12 THE WITNESS (Borkowski): That is a good question.

13 We -- we typically have those transformers.

14 So a couple of things to unpack there. One,
15 if there is an oil issue with the transformer, it
16 immediately turns off. So we would know if there
17 is any type of an issue from that perspective, and
18 we would immediately send somebody out.

19 We also put the transformers on a cement
20 slab, and then that cement slab has some stone
21 around it as well, from a containment perspective.
22 We -- all of our solar facilities, we've never had
23 an issue like that, but it doesn't mean it's not a
24 good question, and we will look it up for you.

25 MR. SILVESTRI: No, that's appreciated.

1 Staying on the oil business, I may have
2 missed it, but I did not see a spill prevention
3 control and countermeasure plan, other than a few
4 brief notes that were in Appendix N of the
5 application.

6 Was an SPCC included in your submittals?

7 THE WITNESS (Borkowski): I don't believe it was.

8 MR. SILVESTRI: Okay. Is it your intention then to
9 store fuels on site during construction?

10 THE WITNESS (Borkowski): There's no intention to store
11 fuels on site during construction.

12 MR. SILVESTRI: Okay.

13 Would you have spill response materials?

14 THE WITNESS (Borkowski): Our contractor would be
15 required to have spill response materials.

16 MR. SILVESTRI: Workers would be trained in appropriate
17 response actions?

18 THE WITNESS (Borkowski): Yes, they would be.

19 MR. SILVESTRI: And would you also have contact
20 information in the event that a spill happens for
21 a disposal contractor, appropriate state/federal
22 notifications, et cetera?

23 THE WITNESS (Borkowski): Yes, that would be -- yes.

24 MR. SILVESTRI: So all that could actually be put into
25 an SPCC should the project be approved?

1 THE WITNESS (Borkowski): Yes, sir.

2 MR. SILVESTRI: Okay. Thank you.

3 Moving on to the response to Interrogatory
4 Number 25. It states in part the solar inverters
5 as well as two transformers will generate noise.

6 A related question I have is, do the trackers
7 emit any type of noise?

8 THE WITNESS (Borkowski): The trackers have a very
9 slight noise when they do make their -- for a
10 short period of time as they make their movements
11 throughout the course of the day.

12 It is a very low noise, less than that of the
13 inverters, and certainly the transformer.

14 MR. SILVESTRI: The noise tends to be additive.

15 Would that increase, I believe you mentioned,
16 the 30 dBA number?

17 THE WITNESS (Borkowski): So that increase, it would
18 have the potential to have a very slight increase.
19 The way noise works -- I'm sure you know, the
20 voice, the -- it's a complicated formula, but
21 30 -- if the inverter were 30 decibels and the --
22 the movement from the panel were 30 decibels,
23 which it wouldn't be, it doesn't equal 60.

24 It just is -- it's a long calculation that
25 adds just a couple of decibel points to it, but

1 there would be some very small incremental amount
2 of noise.

3 MR. SILVESTRI: Okay. No. Thank you for that
4 response. I'm just going to make a quick note.

5 Okay. Moving down the line for my questions,
6 if you could turn to the response for
7 Interrogatory Number 28? It talks about a
8 temporary electric fence would be installed.

9 What do you mean by, temporary?

10 THE WITNESS (Borkowski): Yeah, so it's a part of the
11 sheep grazing. It would be just a fence that is
12 electrified to keep the sheep away from the fence,
13 and would only be utilized during the time when
14 sheep are -- are in that area.

15 And so it is utilized within the facility,
16 because the way sheep grazing works is you don't
17 just let them into the total solar facility and
18 they graze the whole thing. You have blocks
19 within the solar facility.

20 So I believe it's split into five different
21 blocks. The sheep would be put into block number
22 one. They would graze that one small area, and
23 the electric fence would keep them -- so in
24 essence, it's kind of on two or three sides of a
25 block to keep them in that one area.

1 They'd graze it for the appropriate period of
2 time, a couple weeks. Then they would open up the
3 next block, and they would sit inside -- again,
4 this small electric fence that would sit inside
5 the solar array.

6 MR. SILVESTRI: Well, two related questions. When you
7 mentioned blocks, as you would move sheep from,
8 say, block one to block two, do you also move the
9 electric fence from block one to block two?

10 THE WITNESS (Borkowski): Yes, the electric fence makes
11 block, one and then it gets opened up and pushed
12 over to make block two.

13 MR. SILVESTRI: And just for clarification, the
14 electric fence would only be used when you have
15 sheep on site. So if you don't need the sheep,
16 you wouldn't have the fence?

17 THE WITNESS (Borkowski): That's right.

18 MR. SILVESTRI: Now I understand temporary. Thank you.

19 THE WITNESS (Borkowski): Yes.

20 MR. SILVESTRI: What would be the power source for that
21 fence?

22 THE WITNESS (Borkowski): So there is some local --
23 local power at that solar facility. It's very low
24 voltage. So there's an outlet somewhere in the
25 solar facility that it would be tied to.

1 MR. SILVESTRI: So it's basically a plug-in?

2 THE WITNESS (Borkowski): Yes.

3 MR. SILVESTRI: Okay. And that power source would
4 operate regardless of what the solar panels are
5 producing, or not producing?

6 THE WITNESS (Borkowski): Absolutely, yes.

7 MR. SILVESTRI: Thank you. Moving on to Interrogatory
8 30. And part of this you've answered for
9 Mr. Mercier, but just a clarification.

10 When you have the Exhibit 1-5-1 that shows
11 the green line or border that represents the
12 location of the evergreens that you mentioned, for
13 clarification, would they be planted within the
14 proposed fence line or outside the proposed fence
15 line?

16 THE WITNESS (Borkowski): Outside the proposed fence
17 line.

18 MR. SILVESTRI: Outside? Okay. Being outside, would
19 they be animal resistant to, say, things like
20 deer?

21 THE WITNESS (Borkowski): Yes. So the types of specie
22 plants that we would get are those that are
23 undesirable to deer. So an arborvitaes, for
24 instance, is not something you would want to plant
25 there. And that's why we choose the type that we

1 do that the deer do not like eating.

2 MR. SILVESTRI: And again, with the answer you provided
3 Mr. Mercier about inspections, you'd also be
4 looking for any type of animals getting into the
5 evergreens?

6 THE WITNESS (Borkowski): Yes.

7 MR. SILVESTRI: Thank you. Also with Exhibit 1-5-1, a
8 curiosity question. How is the location of the
9 bee habitat chosen?

10 THE WITNESS (Borkowski): That is chosen by the bee
11 person that is designated for this, and so it's
12 what they think is best.

13 MR. SILVESTRI: Do you know if it was from an access
14 standpoint to get into and tend to bees, or
15 something else?

16 THE WITNESS (Borkowski): Let me defer that question to
17 Amberli Young of Community Power Group.

18 MR. SILVESTRI: Thank you.

19 THE WITNESS (Young): Yes. The main reason for that
20 area was access. A secondary -- or we did
21 consider whether that area was close enough to a
22 water source for the pollinators, which would be
23 the man-made pond, and we felt it was close enough
24 despite being farther away than, say, all the way
25 on the western side of the site.

1 But for access reasons, it was most
2 preferable to be on that, in that area.

3 MR. SILVESTRI: Thank you for that response as well.

4 Okay. Going to the response for
5 Interrogatory Number 32, this is the manure issue.

6 Let me preface first that while I used to
7 have award-winning vegetable gardens, I'm not a
8 farmer. But instinctively, I would think that any
9 type of fertilizer that's used for corn or other
10 crops, such as manure, would be tilled into the
11 ground.

12 And if I'm correct on that, wouldn't there be
13 a difference in the quality of stormwater between
14 tilled manure, say, for corn, versus random
15 surface deposits from sheep?

16 THE WITNESS (Borkowski): One would expect that there
17 would be -- I can appreciate the difference that
18 you are talking about. These are not year-round
19 sheep.

20 But yes, the -- the answer to your question
21 is it is different than if it were tilled in.

22 MR. SILVESTRI: Now, what I'm looking at is to try to
23 verify the statement that this is much lower than
24 would be expected to be deposited on site during
25 the typical harvest year for the corn crop

1 currently being farmed. So when you make a
2 comparison like that, I'm trying to verify that,
3 yeah, indeed, that would be true.

4 THE WITNESS (Borkowski): Yes, that -- yes, it -- it
5 would. It is less than would be the amount of
6 manure that would be put on the field if it were
7 to be continued to be cropped.

8 MR. SILVESTRI: Okay. I'm going to make the note on
9 that as well. Thank you.

10 Okay. Let's move to Interrogatory 42, and
11 this talks about the decommissioning aspect of
12 it -- but I'm curious on the basin areas. And I
13 think I saw it, but I'd just like verification.

14 Is there a plan for disposal of the sediment
15 from the basin areas? And that would be both from
16 an ongoing maintenance procedure, if you will, and
17 also prior to grading the berms back into the
18 basins during decommissioning.

19 THE WITNESS (Borkowski): For that, the answer to that
20 question, I would like to turn to Mr. LaBatte of
21 All Points.

22 THE WITNESS (LaBatte): So there isn't a plan that's
23 specific to where the material that would be
24 excavated for the basins would be located. If you
25 look at the cover sheet to the set of plans that

1 were submitted to the Council, you'd see there is
2 a net. It's about 3,000 cubic yards of -- of cut.

3 And that would be utilized to create the
4 berms for the basin, and the rest would be
5 utilized where needed to adjust grades as they're
6 doing construction.

7 The intent isn't to change the grades of the
8 site overall. That material could be spread as
9 needed and utilized as needed on the site.

10 MR. SILVESTRI: And if you cleaned out the basins,
11 would you take that material and also try to
12 spread it somewhere on the site?

13 THE WITNESS (LaBatte): Yeah, I mean, that the -- that
14 would -- that's generally the intent. We don't
15 anticipate that there's going to be an
16 overwhelming amount of material.

17 But that, you know, things happen during
18 construction and that's why the basins are in
19 place -- but the material would be spread. It's
20 not our expectation that it would be removed from
21 the site, and I don't think it's the expectation
22 of CPG that the material will be removed from the
23 site.

24 So I think that's the -- the most concise way
25 to answer to that question.

1 MR. SILVESTRI: Now should the project be approved, we
2 mentioned earlier in response to Mr. Mercier's
3 question about the trees, that you'd have some
4 type of personnel coming back to investigate the
5 site.

6 Would they also be looking at the basins and
7 checking to make sure that the basins are okay, et
8 cetera?

9 THE WITNESS (Borkowski): This is Mr. Borkowski
10 speaking again. And yes, that would be a part of
11 their annual inspection or their periodic
12 inspection.

13 MR. SILVESTRI: By periodic, would that also happen in
14 the event that we have a deluge of rain, say,
15 seven-plus inches or so in a short period of time?

16 THE WITNESS (LaBatte): This is Eric LaBatte. If I may
17 interject and respond to that? As an obligation
18 to the permitting requirements with DEEP, we are
19 obligated to visit the site weekly during
20 construction to make sure that all erosion and
21 sedimentation controls are maintained.

22 And if we see anything that's, you know,
23 looks like it could be degrading or it's not
24 serving its useful purpose, we have to remind the
25 contractor to replace or repair, or add measures

1 to make sure that there is no erosion or
2 sedimentation issues associated with the site.

3 And that does continue monthly for two
4 growing seasons post-construction. So there will
5 be people out there looking at the site to make
6 sure there's no -- there's nothing nefarious going
7 on, or there's -- there's no degradation related
8 to our erosion and sedimentation control.

9 MR. SILVESTRI: When you say two growing seasons, is
10 that two years?

11 THE WITNESS (LaBatte): Yeah. That's my understanding,
12 yes. While we're still in the process of going
13 through, there are -- haven't been many that have
14 been fully completed on our end yet, but I do
15 believe it's two full years.

16 We could get clarification and -- and provide
17 you with an exact answer.

18 MR. SILVESTRI: No -- that that would help. And the
19 reason I bring this up; let's say it was about two
20 years ago in my area here, we got hit with an
21 awful lot of rain in a very, very short period of
22 time, possibly seven-plus inches, that with runoff
23 from different roads and fields and everything
24 else the road actually turned brown from all the
25 sediment that was coming down.

1 And that would be my concern, too, that if
2 there is some type of deluge, as I'll call it,
3 that there would be provisions to go out to
4 whatever solar farms that are there and say, okay,
5 we're going to check everything through and make
6 sure it's all right. This is way after
7 construction.

8 Would you agree that that would be a prudent
9 measure?

10 **THE WITNESS (LaBatte):** It's -- we are obligated to the
11 requirements of DEEP, and it is -- it's two, two
12 years post construction. So it's 24 inspections
13 that we have to do after the site has been, I
14 guess, finished with all construction-related
15 activities.

16 **MR. SILVESTRI:** Not to belabor it, but what happens if
17 you get this deluge in the third year?

18 **THE WITNESS (LaBatte):** I cannot speak on behalf of --
19 of what DEEP requires. We are obligated, like I
20 said, of the 24 months. Things happen everywhere.

21 So I -- I just can't speak to what happens in
22 the third year.

23 **MR. SILVESTRI:** Yeah. Again, I wouldn't look at this
24 as a DEEP requirement necessarily, but just as a,
25 I want to maintain what I have, a good neighbor

1 type policy, et cetera. That's why I bring that
2 up, that I'd like to make sure if this is
3 approved, that somehow if there is a big deluge of
4 rain, that it's looked at and attended to. So I'm
5 going to leave it at that. Thank you.

6 THE WITNESS (Borkowski): If I may just add one quick
7 point to that?

8 You know, after -- I think perhaps after the
9 second year, the vegetation is established at that
10 point. And so you have a much different ground
11 profile than -- than if it were closer to
12 construction where there might be some sediment
13 runoff.

14 MR. SILVESTRI: I do hear what you're saying. Again, I
15 look at it as a precautionary measure.

16 So thank you.

17 THE WITNESS (Borkowski): Understood. Understood.

18 MR. SILVESTRI: If you could turn to the response to
19 Interrogatory Number 43, please?

20 And I'll start off that information that we
21 typically receive from applicants concerning the
22 TCLP, the toxicity characteristic leaching
23 procedure, it actually includes testing
24 methodology, the results of each leachable metal,
25 a comparison to the regulatory limits that exist,

1 the quality control data.

2 But all I see is the letter that was provided
3 by Jinko, if I'm pronouncing that correctly, and
4 attached as Exhibit CSC 1-43-1 -- and it's void of
5 any of that information.

6 Do you have such information that would give
7 you the testing methodology, results of each
8 leachable metal, comparison to regulatory limits,
9 et cetera?

10 THE WITNESS (Borkowski): That is something that we can
11 run down. It is a polycrystalline panel, which
12 they all have the same profile. It is the thin
13 film panels that are the ones that are
14 problematic, and as a part of this application we
15 are not proposing those panels.

16 MR. SILVESTRI: And again, I have no idea what the
17 metal content would be, which is why I'm
18 requesting that information.

19 THE WITNESS (Borkowski): Understood.

20 We will provide that to you.

21 MR. SILVESTRI: Thank you. This is kind of related to
22 Interrogatory 43 in a way, but also it's within
23 Exhibit O of the application. There is a two-page
24 press release, I'll call it, about Jinko's solar
25 first PV recycling network. And I have two

1 questions for you.

2 Have you used Jinko, or perhaps a similar
3 company in the past for any type of PV recycling?

4 THE WITNESS (Borkowski): To -- we have not. We have
5 not. Our oldest facility at this point is twelve
6 years old, and so we have not had to recycle any
7 panels.

8 MR. SILVESTRI: Have you had any panels that might have
9 experienced breakage during installation that you
10 had to not put them in and do something with them?

11 THE WITNESS (Borkowski): No, we have not.

12 MR. SILVESTRI: Okay. Thank you. All right. Moving
13 down the line I have, the next one is
14 Interrogatory 45.

15 Let me start off that I didn't see much
16 information on the single-axis trackers, so my
17 next set of questions is going to concern them.

18 How are the trackers actually powered?

19 THE WITNESS (Borkowski): We have not finalized the
20 tracker system that will be utilized. It will
21 either be via little tiny solar panels that are
22 actually hunter/trackers themselves, or it will be
23 from the electric that's being generated by the
24 solar facility rerouted back into the tracker
25 system.

1 MR. SILVESTRI: So somehow you would draw, if I
2 understand correctly, from the solar panels one
3 way or another as opposed to trying to have an
4 electrical interconnection, say, from what we
5 talked about with the electric fence.

6 Would that be correct?

7 THE WITNESS (Borkowski): Yes.

8 MR. SILVESTRI: Okay. Any idea what the draw on the
9 system would be for the trackers?

10 THE WITNESS (Borkowski): It's de minimis, but I do not
11 know the exact number.

12 MR. SILVESTRI: Okay. The calculations that you
13 provided as far as what you expect from output
14 from the solar panels, did that take into account
15 whatever might be lost from the trackers?

16 THE WITNESS (Borkowski): Yes, it did.

17 MR. SILVESTRI: Thank you. Now is the rotating
18 mechanism for the trackers, is it internal to the
19 trackers themselves? Or is it attached to the
20 racks that the panels are fastened to?

21 How does that mechanism actually work?

22 THE WITNESS (Borkowski): It's a very -- just very
23 standard mechanical feature of just two gears,
24 that -- that as one gear turns, it turns the
25 panels at a set time and distance.

1 MR. SILVESTRI: So it's gear driven, as opposed to
2 chain driven?

3 THE WITNESS (Borkowski): Yes.

4 MR. SILVESTRI: Thank you. And do the trackers or the
5 gears require any type of periodic maintenance?

6 THE WITNESS (Borkowski): We have not experienced any
7 issues with trackers on our other systems.

8 MR. SILVESTRI: And that's over a twelve-year period, I
9 think you mentioned before?

10 THE WITNESS (Borkowski): We've only been using
11 trackers probably for five years.

12 MR. SILVESTRI: Five years? Okay. Thank you.

13 Now with the trackers, what are you looking
14 at for the degree of rotation?

15 THE WITNESS (Borkowski): So typically it's 52 degrees
16 in either direction.

17 MR. SILVESTRI: In either direction?

18 THE WITNESS (Borkowski): Yeah.

19 MR. SILVESTRI: And --

20 THE WITNESS (Borkowski): When I say either direction,
21 I mean, facing east to being flat, to facing west.

22 MR. SILVESTRI: Understood.

23 THE WITNESS (Borkowski): Yes.

24 MR. SILVESTRI: Thank you. And going back to the
25 response about the snow removal, in the event of a

1 forecasted snowstorm the panels would rotate
2 themselves at the onset of snow?

3 Did I, kind of, understand that correctly?
4 Or would you have to somehow get the panels to
5 move?

6 THE WITNESS (Borkowski): Yeah, so there is a weather
7 tracking system attached to the -- that's a part,
8 integrated with the tracking system.

9 MR. SILVESTRI: Uh-huh?

10 THE WITNESS (Borkowski): That anticipates a variety of
11 weather events and puts the panels in a safe
12 position.

13 MR. SILVESTRI: When you say, safe position, would it
14 go back to 52 degrees? Or would they actually be
15 perpendicular to the ground?

16 THE WITNESS (Borkowski): They -- they would be
17 parallel to the ground, usually. Typically
18 parallel to the ground.

19 In certain snow events, it might be
20 different, but -- and/or hail events, but for wind
21 conditions, it's parallel to the ground. And then
22 for other types of things, it's -- it's different
23 positioning, whatever they determine is optimal
24 for a specific area.

25 MR. SILVESTRI: Okay.

1 THE WITNESS (Borkowski): I think west, sometimes it's
2 90 degree, you know, parallel for snow systems
3 because you have such high wind characteristics.
4 I believe in the northeast, it's a little bit
5 different where you have less of a wind dynamic,
6 and it's just a different type of weather -- snow,
7 typically, so.

8 MR. SILVESTRI: The wind, I can understand that you'd
9 want to be parallel with the ground, but for
10 snow --

11 THE WITNESS (Borkowski): Yeah.

12 MR. SILVESTRI: For snow, I don't think you'd want to
13 do that, because all the snow would land on top of
14 the panel that you want to somehow get more
15 perpendicular.

16 THE WITNESS (Borkowski): Yes, and -- and I believe
17 that's right for the most part, but there is some
18 instances, depending on whatever the snow, where
19 it may be best that it is parallel. And then you
20 tilt it at a certain time later, just if it's
21 going to be a high wind situation, whatever.

22 I don't know exactly all the algorithms that
23 go into that, but there is a lot of smart
24 programming that happens to maximize the --
25 minimize the damage to any panels and maximize

1 their life expectancy.

2 MR. SILVESTRI: And that feature would be built into
3 each tracking system?

4 THE WITNESS (Borkowski): Yes, it's a holistic part of
5 the tracker dynamic.

6 MR. SILVESTRI: Okay. And again, I'm not familiar with
7 it, but I do have one other question for you.

8 THE WITNESS (Borkowski): Sure.

9 MR. SILVESTRI: Do you know how that feature
10 differentiates, if you will, between snow and
11 rain, or pollen buildup, or anything else that
12 might accumulate on a panel?

13 THE WITNESS (Borkowski): Yeah, so -- so rain without a
14 high wind event is really not all that impacted,
15 but I don't have a detailed answer.

16 I could get a more detailed answer for you by
17 looking at our systems. There, there are
18 algorithms associated to that. I just don't know
19 them off the top of my head.

20 MR. SILVESTRI: And that's why I asked the question,
21 because I never ran across it before. So I'll
22 thank you for that one, too.

23 THE WITNESS (Borkowski): Yeah, for sure.

24 MR. SILVESTRI: Two other questions I have for you.
25 The second to the last one deals with

1 Interrogatory 48.

2 And if I could reference the response to that
3 Interrogatory Number 48, and also to Interrogatory
4 20, has there been any additional communication
5 with Eversource to restudy the project to reduce
6 the number of utility poles and to use pad-mounted
7 equipment to avoid perhaps the -- what I'll call
8 the proliferation of such poles?

9 THE WITNESS (Borkowski): Yes. So we can't do anything
10 to eliminate the amount of protective equipment
11 which drives a number of poles needed. That is a
12 standard as set by the utility.

13 We did move the poles back significantly from
14 where they were. I think they were originally 25
15 feet off the road. We have since pushed them more
16 than a hundred feet off the road on the latest
17 plan set that you have to put them as far back
18 into the field as we could.

19 MR. SILVESTRI: Thank you for that response. And if
20 Eversource is listening, again, I've seen their
21 guidelines from time to time, but I do know that
22 pad-mounted equipment has been used successfully,
23 and successfully deployed in the past.

24 So I'll close that section just with that
25 comment, but thank you.

1 The last one I have for you is the response
2 to Interrogatory Number 50. And you kind of
3 answered this one with Mr. Mercier, but when you
4 say you didn't want to go out to Pinney Street
5 because any type of undergrounding would interfere
6 with agricultural use of the field on the east
7 side of the property; if I look at drawing OS-1,
8 the field that you're talking about is that
9 cleared area, if you will, way on the east side?

10 **THE WITNESS (Borkowski):** So the -- I'm sorry.

11 Could you repeat your question? I was
12 briefing myself on 50.

13 **MR. SILVESTRI:** Yeah, I'm looking at OS-1 and I'm
14 trying to figure out the field that you mentioned,
15 that you'd interfere with agricultural use if you
16 went underground to connect with the solar farm
17 and Pinney Street.

18 And I think you're talking about that, that
19 open area that's just to the southeast of the
20 proposed solar farm. Is that correct?

21 **THE WITNESS (Borkowski):** That is correct, yes.

22 **MR. SILVESTRI:** Okay. Very good. Okay. Aside from
23 some homework answers that we talked about,
24 Mr. Morissette, that's all I have.

25 And I thank you.

1 THE WITNESS (Borkowski): Thank you.

2 THE HEARING OFFICER: Thank you, Mr. Silvestri.

3 So we have three open questions from
4 Mr. Silvestri, one relating to the transformer
5 oil, including alarms and the slope of the
6 transformer pad. We have -- the second would be
7 the TCLP comparison results. And the third would
8 be, I'll call it the information on the
9 positioning devices relating to the wind.

10 Mr. Silvestri, did I get that one correct?

11 MR. SILVESTRI: Yes, Mr. Morissette. Thank you.

12 THE HEARING OFFICER: Thank you. So what we would like
13 to do is have these questions answered during the
14 break, which we'll take around 3:30.

15 Two of the responses, one and three, I think
16 would be something you could get. Number two, the
17 TCLP comparison results, if you have that
18 information, I think we would like to see it read
19 into the record.

20 Our intent here is to close the record today
21 and not hold an additional hearing and have to
22 open the hearing for late-filed exhibits. So, if
23 we can accomplish that, Attorney Herrera-Soto,
24 that would be appreciated.

25 Thank you.

1 With that, we will continue cross-examination
2 of the Petitioner by Mr. Nguyen, followed by
3 Mr. Golembiewski. Mr. Nguyen?

4 **MR. NGUYEN:** Thank you, Mr. Morissette, and good
5 afternoon, everyone. Just a few questions,
6 regarding the system monitoring and maintenance.

7 First of all, the petition states that the
8 system can be monitored remotely. Is that right?

9 **THE WITNESS (Borkowski):** Yes. This is Mike Borkowski
10 of Community Power Group answering the question.

11 The answer is, yes.

12 **MR. NGUYEN:** And where is the remote center located?
13 Is it in state? Is it out of state?

14 **THE WITNESS (Borkowski):** It's a web-based system. So,
15 it can be monitored from anywhere. The central
16 monitoring location at this point in time is
17 anticipated to be in New York.

18 **MR. NGUYEN:** And I understand that there's a lot of
19 information that's been discussed regarding
20 monitoring, but if you could summarize what can be
21 monitored specifically?

22 **THE WITNESS (Borkowski):** Yes. So, we monitor the
23 panels down to the string. So strings are
24 generally to be monitored down to about 27 panels,
25 where we can see if a particular string of panels

1 is not performing properly.

2 And so that would stand out, because you see
3 all the strings' performance next to each other,
4 and if there was a particular string that wasn't
5 performing like all the others, then you would
6 identify, hey. There's a problem going on there.

7 And that problem might be that one panel got
8 unplugged or, you know, perhaps one of the
9 tracker -- the columns is not functioning properly
10 and it's not following the sun the same as all the
11 others are. And that would all stand out in the
12 performance of any particular set of strings.

13 So it's really measured based on, is the
14 output of a particular string performing like the
15 rest of them, or historical? And that then flags
16 that there's some kind of an issue, at which point
17 we would have our local electrician, who's on
18 call, go out to the site and explore what might be
19 happening in that particular string.

20 MR. NGUYEN: Can the system be shut down remotely in
21 case of emergency?

22 THE WITNESS (Borkowski): Yes.

23 MR. NGUYEN: Or someone has to be on site?

24 THE WITNESS (Borkowski): No, it can be shut down
25 remotely.

1 MR. NGUYEN: You mentioned about the local contractors.
2 Does the company have an in-house staff, or
3 maintenance staff?
4 THE WITNESS (Borkowski): It does, but we contract. We
5 have an in-house monitoring, but the maintenance
6 is done by local contractors.
7 MR. NGUYEN: And one last question regarding contact.
8 Now I know you spoke earlier about maintaining a
9 contact in case of emergency. CSC-129, you
10 mentioned that the Petitioner is happy to schedule
11 a training with local emergency responders.
12 THE WITNESS (Borkowski): Not for the --
13 MR. NGUYEN: It's under construction. So the question
14 is, now after the construction on a regular,
15 annual, would there be any training or contact
16 with the local responders?
17 THE WITNESS (Borkowski): So, we are available for
18 training at the request of the local safety
19 authorities.
20 We typically just do one training up front,
21 provide them -- ensure that they have proper
22 access to the facility, and that information is
23 given to them and they are trained with it to the
24 extent that in the future they need follow-up
25 training, there's a change in personnel, we are

1 certainly available to do that.

2 MR. NGUYEN: And you certainly will update that contact
3 list -- if you will, or should there be any
4 personnel changes?

5 THE WITNESS (Borkowski): Yes.

6 MR. NGUYEN: Okay. Thank you very much. And that's
7 all I have, Mr. Morissette. Thank you.

8 THE HEARING OFFICER: Thank you, Mr. Nguyen. We will
9 now continue with cross-examination of the
10 Petitioner by Mr. Golembiewski, followed by
11 Mr. Hannon. Mr. Golembiewski?

12 MR. GOLEMBIEWSKI: Thank you, Mr. Morissette. Good
13 afternoon to everyone.

14 Based on the Witnesses, I'm not sure who to
15 ask what, but hopefully someone will pick up the
16 answer.

17 I believe the first question would be to
18 Mr. LaBatte, I believe. And this is a follow-up
19 to Mr. Silvestri's question. I think you answered
20 to one of his questions that there would be 3,000
21 cubic yards of excavation at the site to complete
22 the development.

23 THE WITNESS (LaBatte): What we calculated was
24 approximately, per the cover sheet on the
25 drawings, 43,065 -- I mean, sorry, 4,365 cubic

1 yards of cut, 1,250 cubic yards of fill with a net
2 delta of approximately 3,115 cubic yards of cut
3 that would be spread on the site.

4 MR. GOLEMBIEWSKI: Okay. And when you say, spread on
5 the site, that would be for berms and some of the
6 stormwater features and such, and you are
7 confident that you can essentially spoil it on
8 site? There's enough area to do that?

9 THE WITNESS (LaBatte): I mean, that's the intention
10 for -- for the berms. I mean, generally speaking,
11 you're able to -- to spread that around.

12 And sometimes these, these fields have ruts
13 between the rows of crops -- and just to get it
14 evenly spread so that the stormwater can sheet
15 flow appropriately where the basins are located.

16 There are ways to just make sure that the
17 grading patterns are mimicked to existing
18 conditions and they spread the material around
19 accordingly, and then put the seed mix on top of
20 it after the fact.

21 MR. GOLEMBIEWSKI: Okay. And so as part of the phasing
22 these additional soils would be temporarily
23 stockpiled and protected per ENS guidelines.

24 And then as your phasing goes, you would have
25 certain areas where you would be essentially

1 excavating, temporarily storing. And then as you
2 move through the site you'd be playing this sort
3 of game of, this is where we're going to excavate,
4 this is where we're going to, you know, increase
5 grades or whatever.

6 THE WITNESS (LaBatte): Yeah, I mean, if -- if you look
7 at the drawings that were submitted, we -- we
8 really only have two areas of excavation
9 associated with the two basins. There really
10 isn't -- the intent is not to change the grade
11 patterns of the site.

12 So it's not really a game, per se. There is
13 no intention to do any excavation throughout the
14 majority of the site.

15 MR. GOLEMBIEWSKI: Okay.

16 THE WITNESS (LaBatte): It's primarily contained to
17 those two areas, and we have stockpiles shown on
18 the ENS plans.

19 MR. GOLEMBIEWSKI: Yeah, and so you believe you can
20 spoil right in then, those excavation areas? Or
21 are you going to have to spread in the area where
22 the arrays are?

23 THE WITNESS (LaBatte): As I mentioned, there could be
24 some of that material spread in the areas where
25 the arrays are in the event that -- that the

1 conditions lend themselves to that.

2 MR. GOLEMBIEWSKI: Okay.

3 THE WITNESS (LaBatte): Like I said, as they drive
4 equipment on them and just from the row crops
5 themselves there could be inundations in the -- in
6 the land. And so they can use that material to
7 spread it out evenly to keep the drainage
8 patterns.

9 MR. GOLEMBIEWSKI: Okay. And then any areas where you
10 spoil, you know, clearly they'll be disturbed at
11 that point. The ENS controls will be modified or
12 adapted to however you spread the material?

13 THE WITNESS (LaBatte): Yeah, there's perimeter ENS
14 measures as shown on the drawings. We don't
15 anticipate any.

16 The site has pretty gentle slopes across it.
17 So we really don't anticipate much in the way of
18 erosion, but yeah --

19 MR. GOLEMBIEWSKI: But you guys -- but don't you have
20 to break up the site into sort of smaller, you
21 know, perimeter alone is not going to do it for
22 you. Right?

23 THE WITNESS (LaBatte): Well, that's why the basins are
24 there. They're to be utilized as temporary
25 sediment basins as well. So the water will be

1 directed to them when it rains. And the perimeter
2 controls really at the end of the day are what
3 will govern.

4 So yes, while -- while the site may be broken
5 up and worked on in phases, those basins are meant
6 for the water to be directed. They have baffles
7 in them. They are to be cleaned out.

8 It's all outlined in the drawings.

9 MR. GOLEMBIEWSKI: Okay.

10 So phasing-wise, those will go in first then?

11 THE WITNESS (LaBatte): Uh-huh. Yes.

12 MR. GOLEMBIEWSKI: Okay.

13 THE WITNESS (LaBatte): As you see, we have -- the
14 erosion control plans are set up in a phased
15 manner, and the first phase is to -- to construct
16 those basins and to install the perimeter
17 controls.

18 MR. GOLEMBIEWSKI: Okay. So ultimately you are
19 balancing cut, cuts and fills on site with no
20 export of material?

21 THE WITNESS (LaBatte): Well again, I can't speak to
22 what happens during construction and from the
23 means and methods of it, but the hope and
24 expectation is that while there will be a net
25 excess of material, they would be able to spread

1 that around on site.

2 MR. GOLEMBIEWSKI: Okay. Because I did see in the
3 decommissioning plan, some type of amount of money
4 that it's going to be estimated to restore the
5 site.

6 So I would have to look back at that
7 calculation, but if you, say, took ten triaxial
8 loads of material out, then you'd have to bring
9 ten triaxial loads of material back in. Yes?

10 THE WITNESS (LaBatte): Correct.

11 MR. GOLEMBIEWSKI: Okay.

12 THE WITNESS (LaBatte): I mean, I cannot speak -- I
13 would like Mr. Borkowski to answer this part, but
14 it's my understanding that he would prefer not to
15 take however many triaxial loads of material off
16 the site if they didn't have to, so.

17 MR. GOLEMBIEWSKI: Okay. So you did state already that
18 the stormwater runoff collection systems are going
19 to maintain the existing drainage patterns, which
20 essentially drained the site -- as far as I can
21 see, drains to the southwest.

22 Part of it drains to the southwest, and part
23 of it drains to the southeast?

24 THE WITNESS (LaBatte): Correct.

25 MR. GOLEMBIEWSKI: Okay. And then the basins

1 themselves are designed to have some type of storm
2 runoff retention, or at least detention.

3 So that peak runoff is, as I saw it, was less
4 for all storms. Is that correct?

5 THE WITNESS (LaBatte): Yeah, it's substantially less.

6 MR. GOLEMBIEWSKI: Yeah.

7 THE WITNESS (LaBatte): And just to add a little color
8 to the conversation in regards to the basins,
9 they're both equipped with a low-flow orifice that
10 allows, during smaller storm events, making sure
11 water will always leave the basins.

12 We aren't accounting for any infiltration
13 into the ground, so it's a very conservative
14 design. And there they're both also equipped with
15 emergency spillways in the event during higher
16 storm events --

17 MR. GOLEMBIEWSKI: Okay.

18 THE WITNESS (LaBatte): -- to be utilized, so.

19 MR. GOLEMBIEWSKI: It does appear the soils would be, I
20 guess, okay for infiltration. And I did see you
21 do have some infiltration swales proposed. So
22 there will be infiltration.

23 So you -- so you're right. So you will be
24 over-designed then, for at least that purpose?

25 THE WITNESS (LaBatte): Yeah, and then also you have to

1 remember the DEEP has some stringent requirements.
2 They instituted what they refer to as Appendix I
3 to the stormwater manual.

4 And so we have to -- not to get too, I guess,
5 technical here, but we have to, I guess, upgrade
6 the runoff coefficient numbers when we do our
7 design to -- to account for what they would
8 consider to be an increase in, I guess, volume of
9 water as it -- as it travels to the basin.

10 So I think --

11 MR. GOLEMBIEWSKI: You mean, from the panels are
12 considered sort of impervious in a model?

13 THE WITNESS (LaBatte): No, they actually don't.

14 The DEEP does not account for the panels
15 themselves to be impervious, so.

16 MR. GOLEMBIEWSKI: Okay.

17 THE WITNESS (LaBatte): But it's a ground cover
18 increase in runoff coefficient.

19 MR. GOLEMBIEWSKI: All right. Well, thank you.

20 Other than a wetland delineation and a
21 wetland assessment, were there any other
22 biological surveys done on site?

23 THE WITNESS (Borkowski): No.

24 MR. GOLEMBIEWSKI: Okay. So no one assessed the
25 current usage of the site for wildlife and

1 connectivity, and any type of use of the site?

2 THE WITNESS (Borkowski): Hold on one minute. I just
3 want to look at our records again to make sure
4 I've reviewed what's been submitted. If you bear
5 with me one minute while I look at that?

6 MR. GOLEMBIEWSKI: Okay.

7 THE WITNESS (Borkowski): So we did do a DEEP review
8 and a U.S. Fish and Wildlife review that came back
9 with no findings. Therefore, it wasn't necessary
10 for us to hire an independent third-party group to
11 do any further explorations.

12 MR. GOLEMBIEWSKI: Yeah, and that's in regards to,
13 like, state listed or federally listed species.
14 Right?

15 THE WITNESS (Borkowski): Yes.

16 MR. GOLEMBIEWSKI: Yeah, but I mean, if you just Google
17 solar development and wildlife, there's all sorts
18 of, you know, here you're supposed to look at how
19 wildlife currently traveled through the site.

20 Like in this case, you have two, two wetland
21 corridors; you have two areas of forested
22 connected blocks, especially along the western
23 side. And so, you know, I would think you would
24 at least try to assess what's currently walking
25 through.

1 And I guess my question is, is the fencing
2 going to allow certain land mammals to go through
3 the site?

4 Because they do have -- they are now in other
5 states looking at wildlife permeable fencing that
6 allows smaller mammals to go through the site.

7 THE WITNESS (Borkowski): Yes, so the game fencing that
8 we utilize does allow for smaller animals to go
9 through it.

10 MR. GOLEMBIEWSKI: Okay.

11 THE WITNESS (Borkowski): That requirement is a
12 seven-foot fence, which in all fairness, many deer
13 can jump, but we also find that the incremental
14 evergreen vegetation that we provide does actually
15 provide incremental habitat for larger mammals.

16 But given that we -- there is open area that
17 goes all around it, we're not cutting off any
18 corridors. It might, you know, funnel them a
19 little bit more right along the fence line if they
20 don't feel like hopping in, but it does not
21 curtail any, any movements that we've seen.

22 MR. GOLEMBIEWSKI: And are you aware of any bird
23 species that would not want to fly over such a
24 development?

25 THE WITNESS (Borkowski): No, we often find that the

1 bird species the most part really like the
2 incremental perches for them to be on, but that we
3 don't have any issues with them flying overhead
4 or -- or anything like that that you might find in
5 a different solar concentrated facility where
6 there are issues.

7 This is not that type of solar facility.

8 MR. GOLEMBIEWSKI: Okay. I guess moving on to the
9 prime farmland soils.

10 My understanding is that the Department of
11 Agriculture have essentially signed off on the
12 project provided that you implement a co-use plan,
13 and that if for whatever reason you cannot
14 implement that, you would need to go back to them
15 to, I guess, update it or revise it.

16 Is that correct?

17 THE WITNESS (Borkowski): They have signed off on the
18 notion of our co-use. I can check the letter
19 again to see if there are any requirements to go
20 back to them in the event that we were not able to
21 do that going forward, but we are certainly more
22 than willing to do that.

23 MR. GOLEMBIEWSKI: Okay. Moving on, how long will
24 construction last until you're ready to
25 essentially, I guess, start the generation?

1 THE WITNESS (Borkowski): So the construction period is
2 generally about four months in total from
3 beginning to end. For a facility of this size,
4 we've -- we've developed approximately, and have
5 operating approximately 250 megawatts worth of
6 solar facilities. The majority of those are
7 between a half a megawatt to ten megawatts, so
8 we've done a lot of these.

9 But what we find is that the construction
10 period really only lasts, you know, that
11 four-month period, but it takes a couple extra
12 months for the utility to do their work and
13 interconnect.

14 So it may sit there for another two to four
15 months while they finish up their work. So many
16 times it's anywhere up to eight months, kind of,
17 before it's operational and when we break ground.

18 MR. GOLEMBIEWSKI: Okay. And then after that sort of 6
19 to 8 months of, say, high activity, what is the,
20 say, the level of activity at the site for the
21 next 25 years?

22 THE WITNESS (Borkowski): Yeah, very minimal. The
23 first couple of years we have somebody going out
24 there more in the once-a-month category to look at
25 either one of the water features to ensure that

1 they're functioning properly, or do some grazing,
2 or you know, work with the sheep perhaps.

3 After that and things have been established,
4 that they're working and functioning, really they
5 show up on a periodic basis to really look out for
6 the sheep and make sure what's going on there
7 and/or just a general check-in.

8 Or the, you know, local electrician might go
9 there to make sure, you know, if there was an
10 issue that was alerted with the panel. In all
11 those situations it is just a pedestrian-oriented
12 vehicle that would approach there and not any, you
13 know, major construction, or oriented activity.

14 Less traffic than if they were homed there,
15 sure.

16 MR. GOLEMBIEWSKI: Thank you. I did read that there's
17 no proposal to clear any trees, or limb any
18 existing trees. Is that true?

19 THE WITNESS (Borkowski): That is true.

20 MR. GOLEMBIEWSKI: I quickly looked at the plan and I
21 did see a drip line on, I guess, that's probably
22 the existing canopy. It did not look like there
23 was any, like, soil compaction or damage that
24 would occur within the drip line. Is that also
25 true of the development of these, I guess, if you

1 want to call it the perimeter trees, especially
2 around the northern, western and southern ends?

3 THE WITNESS (Borkowski): Yes, that those areas will
4 have minimal impaction, really, just from
5 equipment associated with planting the trees,
6 which is typical in those instances and/or some of
7 these water retention features that have to be
8 built where there would be an impact associated
9 directly with those.

10 MR. GOLEMBIEWSKI: So you wouldn't think that you would
11 increase any mortality of, or the vigor of any of
12 these existing trees?

13 THE WITNESS (Borkowski): No, not at all.

14 MR. GOLEMBIEWSKI: Okay. All right. I guess I want to
15 get into a little bit of visibility. I did see
16 here your visual impact study and are you
17 confident that -- and I'm talking primarily of the
18 residences around, I guess it's like 25 -- between
19 25 and 40 Middle Road and 9 and 11 Heather Road.

20 Do you believe that the proposed evergreen
21 plantings should at least offset, or provide a
22 year-round buffer to the, I guess the
23 infrastructure that you're putting in?

24 THE WITNESS (Borkowski): Yes, we do believe that,
25 especially from the standpoint that those homes

1 are directly north of the facility. So you're not
2 getting a side view from either the east-west view
3 where you might have a little bit more of an
4 impact. You're kind of looking right down a line,
5 so the visual impact is minimal.

6 And then for the homes on the western edge,
7 they're actually -- the elevation is quite a bit
8 lower there for them, and this is, you know, kind
9 of up on the ridge, which then, you know, kind of
10 lends itself to more screening with the
11 existing -- the vegetation that's already there
12 you know, the way the angles and everything else
13 like that work.

14 MR. GOLEMBIEWSKI: Okay. I did see, I guess, a glare
15 study or statement. Can you kind of explain what
16 that is and what was the ultimate conclusion?

17 THE WITNESS (Borkowski): Yeah, so we -- we do do solar
18 farms at airports. So we are one of the few
19 vendors, solar developers that are well-versed in
20 software that is a requirement of the FAA and
21 validated by the FAA to accurately predict any
22 glare.

23 And so these simulations, actually, that we
24 put together calculate where throughout the entire
25 time of the year, given the geolocation of that

1 solar facility and where the sun is in relation to
2 it, the angle of the panels throughout the course
3 of the day, and literally run the simulation
4 associated with the sun and the angle of the
5 panels all throughout the course of the day to
6 reflect, to show where there might be reflections
7 at any given point in time for a specific point.

8 And so we have -- we did that along the
9 roadways and at the homes and determined that
10 there would be no reflective glare coming off
11 those panels given their -- there their various
12 angles and the sun position at any point in time.

13 MR. GOLEMBIEWSKI: Okay. Thank you.

14 I know noise has been mentioned already, but
15 I just want to confirm that the noise daytime and
16 nighttime would meet current, I guess if you want
17 to say, state guidelines.

18 I don't know if there's local zoning noise
19 regulations, but I'm assuming that that's the
20 case.

21 THE WITNESS (Borkowski): This solar farm will meet all
22 the state guidelines. I don't believe there are
23 any local guidelines.

24 We have heard some folks -- there's another
25 solar farm that's right up the road from this

1 one -- during other information gathering
2 sessions. Individuals had expressed some
3 concerns.

4 That solar facility, all of its equipment is
5 anywheres from 50 to 80 feet off the road. Ours
6 is four times that, and at least three times that
7 from any residential property line, and four times
8 that times any residential dwelling.

9 So we are very confident in that individuals
10 will not be impacted by the noise and have done,
11 you know, that, those different things to -- to
12 determine and assure that.

13 MR. GOLEMBIEWSKI: Is there any difference in the
14 operation of the equipment between day and night?

15 THE WITNESS (Borkowski): Yes, there is.

16 Thank you for asking this question.

17 So at nighttime the solar panels are not
18 rotating. So any noise associated to those does
19 not exist. At nighttime the transformer is not
20 transforming, because there's no power coming out
21 of it. So there's no noise associated with that,
22 and the same with the inverter.

23 So the solar farms really at night are, you
24 know, not that they make much noise otherwise, but
25 at night even less. So there is a difference

1 between night and day.

2 MR. GOLEMBIEWSKI: Great. I'm getting to the end.

3 I did notice a statement in the
4 decommissioning plan that the site will be
5 restored to a state similar to pre-construction
6 condition.

7 THE WITNESS (Borkowski): Yeah.

8 MR. GOLEMBIEWSKI: Does that mean it would be farmable
9 fields again, arable fields?

10 THE WITNESS (Borkowski): Absolutely, it will be
11 farmer-farmable fields, yes.

12 MR. GOLEMBIEWSKI: Okay. And then I think I already
13 heard that the stormwater systems would then be
14 removed because they would be unnecessary if you
15 essentially put it to pre-construction?

16 THE WITNESS (Borkowski): Yes, that is something that
17 the landowner at that time would have to determine
18 whether they wanted it, or didn't want it anymore.

19 But they could easily, you know, be flattened
20 out in essence.

21 MR. GOLEMBIEWSKI: Okay. All right.

22 Mr. Morissette, that's all my questions.

23 THE HEARING OFFICER: Thank you, Mr. Golembiewski.

24 We will now take a 15-minute break and -- not
25 quite 15 minutes, 14 minutes. We will come back

1 at five of four, at 3:55 to continue with our
2 hearing this afternoon.

3 And there are, again, three open items that
4 we need responses for from the Petitioner, and we
5 hope to have those responses when we come back
6 from our break. So thank you, everyone.

7 We'll see you at 3:55. Thank you.

8
9 (Pause: 3:41 p.m. to 3:55 p.m.)

10
11 THE HEARING OFFICER: We're back. Thank you, everyone.

12 Is our Court Reporter with us?

13 THE REPORTER: Yes, I am ready, and on the record.

14 THE HEARING OFFICER: Very good. Thank you.

15 Okay. Let me see. Attorney Herrera-Soto, do
16 you have responses to the three open questions?

17 MS. HERRERA-SOTO: Yes, we do, Mr. Morissette.

18 Actually, Attorney McDermott is going to be
19 delivering the responses.

20 THE HEARING OFFICER: Thank you.

21 Attorney McDermott?

22 MR. McDERMOTT: Thank you, Mr. Morissette.

23 Mr. Borkowski, during the break, or in prior
24 to it, did you have an opportunity to consider the
25 questions about whether or not there is oil in the

1 transformers? And if so, what did you determine?

2 **THE WITNESS (Borkowski):** Yes. Thank you,
3 Mr. McDermott, for that question. We did have an
4 opportunity to look at our transformers and
5 confirm the oil, and that there is various oil
6 alarms, including a low-level oil alarm, an oil
7 surge alarm, and an oil temperature alarm.

8 And that built into our SPCC will be
9 procedures for any leaks or spills.

10 **MR. McDERMOTT:** Thank you. And how are those alarms
11 monitored?

12 **THE WITNESS (Borkowski):** They are able to be monitored
13 remotely.

14 **MR. McDERMOTT:** Thank you.

15 And Ms. Young, did you have an opportunity to
16 consider the question about -- that was related to
17 the press release from Jinko about the TCLP of the
18 panels?

19 **THE WITNESS (Young):** Yes, we did locate the study
20 methodology and results that were referenced in
21 the -- in the press release from Jinko.

22 And the summary of the results is that there
23 were no concentrations of any of the subject
24 chemicals greater than the regulatory limits.

25 **MR. McDERMOTT:** Great.

1 THE HEARING OFFICER: Attorney McDermott, if I may
2 interrupt here for a moment? I believe Attorney
3 Bachman may have a comment on this matter.

4 Attorney Bachman?

5 MS. BACHMAN: Thank you, Mr. Morissette.

6 Considering the TCLP test results, such
7 information is certainly subject to change. If
8 the project is approved between permitting and
9 procurement, certainly we could consider different
10 types of panels by different manufacturers,
11 possibly higher wattage panels that could reduce
12 the footprint of the solar facility.

13 And if we're fortunate enough by that period,
14 perhaps we'll have invisible panels, but the
15 selection of the panel type is a business
16 decision, and if the project is approved we can
17 ensure the toxicity characteristic leaching
18 procedure results are in compliance with the
19 criteria.

20 Thank you.

21 THE HEARING OFFICER: Thank you, Attorney Bachman.

22 Attorney McDermott, please continue.

23 MR. McDERMOTT: Thank you, Mr. Morissette.

24 We also, during the break, Mr. LaBatte had an
25 opportunity to look at the question about the seed

1 mix that will be used in the basins, and he just
2 wanted to expound upon his answer previously
3 given.

4 So, Mr. LaBatte, what did you wish to say on
5 that topic?

6 THE WITNESS (LaBatte): Again, Eric LaBatte with All
7 Points Technology Corporation.

8 The seed mix for the basins is noted on sheet
9 DN-2 in the site plans, detail one. And the mix
10 will be a New England erosion control, slash,
11 restoration mix for moist sites on the bottom of
12 the basins; and then a New England erosion
13 control, slash, restoration mix for dry sites on
14 the side slopes of the basins.

15 The only other thing I wanted to clarify,
16 too, was in regards to the post-construction
17 inspections, and the question was raised regarding
18 the -- the growing seasons. A growing season per
19 DEEP is made up of two seeding seasons. Seeding
20 seasons are from April through June, and then from
21 August through October.

22 So it's two of those. A growing season is
23 two of the seeding seasons. We need to do it for
24 two growing seasons. So as I mentioned before, it
25 is two years, but that is the minutiae of the --

1 the answer. It's the detail.

2 So there you have it.

3 MR. McDERMOTT: Thank you very much.

4 Mr. Morissette, I believe that's the end of
5 our homework assignment report.

6 THE HEARING OFFICER: Attorney McDermott, I believe you
7 had one more. It had to do with the tracking
8 system.

9 MR. McDERMOTT: Oh, yes. Thank you. You're right. I
10 have an e-mail on that. That's why I was off -- I
11 was off message on that.

12 So Mr. Borkowski, you had an opportunity to
13 look into the question about the tracking?

14 THE WITNESS (Borkowski): Yes, I did, Mr. McDermott.
15 Thank you.

16 So we looked at the standard protocol under a
17 variety of extreme weather conditions for the best
18 tracking positioning. And so when you have a
19 hurricane situation, the action is to move all
20 trackers to maximum tilt angle facing east or west
21 for whatever wind direction that is prevailing at
22 that moment, but to have the panels actually
23 facing the wind.

24 In a hailstorm, again you would want to have
25 all trackers to maximum tilt angle to minimize the

1 hail impact, so it would not be facing. It would
2 be the kind of opposite direction that the hail is
3 at.

4 For wind stow, again for lower wind is
5 obviously very similar to hurricane wind, where
6 you have the panels facing into the wind so that
7 they're, in essence, being pushed downward.

8 For snow, you would have all tracker --
9 trackers put in maximum tilt angle to dump the
10 snow, and then normal tracking resumes, kind of,
11 immediately after the snow.

12 And then for flood conditions, which probably
13 are not really all that pertinent here, you would
14 have -- but you would have a flat panel
15 positioning to have maximum flood ground
16 clearance.

17 MR. McDERMOTT: Thank you very much.

18 I believe that concludes it then,
19 Mr. Morissette.

20 THE HEARING OFFICER: Thank you, Attorney McDermott,
21 and thank you for the witness panel for obtaining
22 those answers during the break.

23 Mr. Silvestri, does that satisfy your open
24 questions?

25 MR. SILVESTRI: Thank you, Mr. Morissette. Very

1 appreciative that the transformers will have oil
2 surge, temperature, and low-level alarms, as well
3 as the remote monitoring. So thank you for that
4 response.

5 I appreciate the comment on the TCLP, as well
6 as Attorney Bachman's comment about the selection
7 of the type of panels, should that change going
8 forward as well. And I appreciate the information
9 also on the different tilts that are being
10 affected by weather conditions with the trackers,
11 and also the clarification on the growing seasons.

12 So yes, appreciate the responses.

13 Thank you again.

14 **THE HEARING OFFICER:** Thank you, Mr. Silvestri.

15 We'll now continue with cross-examination of
16 the Petitioner by Mr. Hannon, followed by myself.

17 Mr. Hannon, good afternoon.

18 **MR. HANNON:** Good afternoon. Thank you,

19 Mr. Morissette. Good afternoon, everybody.

20 Before I get into some of my questions, I'd like
21 to follow up with Mr. Borkowski on a couple of
22 questions raised by Mr. Silvestri.

23 I'm a little confused in terms of how these
24 paddocks may be set up. And the reason I say that
25 is because, based on the submittal by Community

1 Power Group in terms of the solar project
2 considerations, you talk about three fence lines
3 will be installed in order to create five distinct
4 paddocks within the solar project area.

5 But the way you were describing it sounded
6 like you would set up one paddock, sort of
7 disassemble and relocate it another place. So it
8 looks as though these paddocks are more
9 permanently located. So can you explain the
10 difference there?

11 THE WITNESS (Borkowski): Yes. Thank you for that
12 question, Mr. Hannon.

13 So this, our understanding of the fencing
14 would be that there would be a panel or -- or pens
15 that would be moved over a period of time with
16 those sheep.

17 There could be an instance where the sheep
18 maintainer determines it's more labor efficient
19 for the fences to remain put, and that -- that
20 it's easier for him to move the sheep in an
21 unfettered way. As the solar operator, we are
22 indifferent as to how they would like to do that.

23 MR. HANNON: And again, my issue here is looking at
24 figure one. I mean, it specifically identifies
25 the three distinct lines that would delineate the

1 five paddocks.

2 **THE WITNESS (Borkowski):** Yes.

3 **MR. HANNON:** And based on the language I'm reading, it
4 sounds as though that will be done.

5 So I'm just trying to clarify.

6 **THE WITNESS (Borkowski):** So I think those lines are
7 fixed. Like, there were a lot of math and
8 calculation that goes into the size of those
9 different pens.

10 And let me read that one section again to
11 clarify and make sure that those, whether they are
12 temporary or permanent per the instructions that
13 we got from our anticipated grazer.

14 **MR. HANNON:** That's fine.

15 **THE WITNESS (Borkowski):** Give me one minute.

16 **MR. HANNON:** No problem.

17 (Pause.)

18 **THE WITNESS (Borkowski):** So I think the, perhaps,
19 confusion in what I had indicated earlier is that
20 the sheep are, generally speaking, only in the
21 facility for two weeks, two times a year.

22 And so during those two weeks, those five
23 pens are set up at one -- all at the same time,
24 but then they are removed when those sheep are not
25 there.

1 MR. HANNON: No -- thank you. Because that actually
2 leads into my next question -- which you kind of
3 answered indirectly, was looking at the numbers.

4 And this is Interrogatory 1-32. It states
5 that there's expected four pounds of manure daily
6 and about 300 to 325 pounds of manure deposited on
7 the site per year. I'm dividing that, you know,
8 by the number of sheep.

9 So 325 pounds divided by four is, like, only
10 81 days. So initially I was assuming the sheep
11 were going to be there a lot longer. So if you're
12 saying they're only going to be there basically 28
13 days, then the numbers that are in Interrogatory
14 1-32 make a whole lot of sense to me.

15 THE WITNESS (Borkowski): Got it. Very good question.

16 MR. GOLEMBIEWSKI: So -- and then following up a little
17 bit on a question that Mr. Golembiewski raised, if
18 you look at the Department of Agriculture letter,
19 the paragraph in the second page in the middle
20 says, based on statements provided in CPG's letter
21 dated January 21, 2022, the only significant
22 ground disturbance caused by the project will be
23 an access road approximately 20 feet in length,
24 extending from Middle Road south to the solar
25 array.

1 There will be no grading, cutting or filling,
2 topsoil removal or other actions associated with
3 the project's installation and ultimate
4 decommission after 20 to 30 years.

5 So if I heard correctly, I think there's a
6 little over 3,000 cubic yards that may actually
7 get moved around on the site, which seems to
8 indicate something a little bit different than
9 what the Department of Agriculture was basing
10 their decision on.

11 **THE WITNESS (Borkowski):** Yes. So that, that letter
12 was provided before the requirement associated
13 with Connecticut stormwater management
14 requirements.

15 **MR. HANNON:** Okay. Thank you.

16 On the application, page 11, it talks about
17 racking is pile driven, which I fully understand,
18 but I have two questions on that.

19 One is, I didn't see anywhere where it
20 identified the depth of the piles. I mean, I
21 think typically we're dealing with eight or nine
22 feet. Is that similar to what you're proposing
23 here?

24 **THE WITNESS (Borkowski):** Yes, our -- our depths are
25 anywhere from six to twelve feet, based on, you

1 know, final kind of soil conditions. And we do,
2 kind of, load testing to ensure it meets certain
3 wind profiles that it can handle.

4 But yes, it is almost always in that, that,
5 you know, six, seven, eight, nine-foot range.

6 MR. HANNON: Okay. And then I was just curious, have
7 any test pits been dug out there? Because this is
8 New England and agricultural land, usually you'll
9 see the top 9, maybe 18 inches of soil moved
10 around -- but do you have any idea what's actually
11 under the soil?

12 Because I'll dig a 6-inch trench in my yard
13 and take out 15-inch diameter rocks. So I'm just
14 wondering if you guys are making plans that if
15 there are some problems on part of the site for
16 pile driving, if you'd have to use some type of
17 screw technology to install them?

18 THE WITNESS (Borkowski): Yes. Mr. Hannon, again
19 that's a very good question. So we do expect that
20 there will be a certain resistance in driving the
21 piles. In those instances, we do drill and screw
22 the piles into whatever that resistance might be.

23 And we do anticipate that a certain amount of
24 that happens on every site.

25 MR. HANNON: Okay. Thank you.

1 Also in the opening of the application, like,
2 page 13, 14, things of that nature, there are a
3 number of comments that are made where the
4 existing wetlands are maybe a little bit more than
5 a hundred feet away from the proposed construction
6 activities.

7 But I do have a question on that, because in
8 looking at map EC-10, it looks as though -- I
9 mean, this is the area where it's on the western
10 side of the property that the detention basin is
11 going.

12 And based on the scale being 1 inch equals 40
13 feet, I mean, it looks as though the proposed
14 detention basin is well within a hundred feet of
15 the wetlands. So I'm just curious about that?

16 **THE WITNESS (Borkowski):** Yes, the -- I understand that
17 question. We had interpreted it, rightfully or
18 wrongfully, to be associated with the solar
19 equipment and not the detention facilities that
20 are otherwise being there to protect the, you
21 know, those -- those wetlands from any overflow.

22 So that was not in the setback determination.

23 **MR. HANNON:** Okay. And then on page 14, it also goes
24 on to say, as such there will be no impact to
25 wetlands and watercourses, and a vernal pool

1 analysis is not applicable.

2 I'm not raising a question about vernal
3 pools, but what I am raising a question about is
4 on page 4 of the wetlands delineation report. It
5 talks about -- the first paragraph on page 4. It
6 says, the line along the pond was heavily
7 overgrown with multi-floor rows; included
8 jewelweed along the waterline.

9 The pond occupies approximately one acre and
10 appears to be shallow, two to four feet deep. It
11 was covered with duckweed and likely provides some
12 functions as amphibian breeding habitat.

13 So my question to you is whether or not you
14 have considered putting any type of protective
15 fencing around that detention basin so it doesn't
16 act as a decoy pond to what the wetlands scientist
17 apparently is saying is an amphibian breeding
18 habitat.

19 THE WITNESS (Borkowski): Gotcha. Again, a very astute
20 question. The understanding that I have -- and
21 perhaps Mr. LaBatte could further opine on this,
22 is that those detention facilities are not
23 designed to be wet, and bio-retention facilities
24 in any way.

25 So that would not result -- the expectation

1 is that would not result in a false habitat,
2 perhaps, for these, these species.

3 MR. HANNON: Well, just to put things in an historical
4 perspective, last year I did not get all the water
5 off of our swimming pool and we had frogs breeding
6 in the pool cover. And there were tadpoles galore
7 on top of the pool cover.

8 So it doesn't take a whole lot of time for
9 these frogs or other amphibians to create the
10 problem. So it's something you may want to
11 consider.

12 I mean, we've had this come up in the past,
13 and on things where maybe it's going to be like an
14 18-inch fence around the detention basin just to
15 make sure the amphibians don't get in there. You
16 get a heavy water, and you're like, Mr. Silvestri
17 was talking about a seven-inch rainfall. The
18 water is not going to drain out in a couple of
19 hours. It's going to take time.

20 So it just may be something that you want to
21 consider going forward so that you're not creating
22 a decoy pool or decoy pond for the amphibians.

23 THE WITNESS (Borkowski): Thank you.

24 MR. HANNON: One of the things that I did see in the
25 report on page 16, which I really thought was kind

1 of cool, was having the Connecticut state
2 beekeeper putting some of the honeybees on site,
3 but also trying to come up with some answers to
4 research questions. I think that's a very
5 admirable thing to do. So I was very happy to see
6 something like that.

7 I had a question about the fences. They're
8 eight feet tall, but I think I found one of the
9 diagrams and it looks as though some of the small
10 animals are actually able to go through that or
11 pass there.

12 Because what we've had done in the past with
13 some of the solar projects is fences have been
14 raised about maybe six inches above the ground to
15 allow for some critters to get through, so -- and
16 I'm not that familiar with the agricultural fence,
17 so if you could maybe clarify that a little more
18 for me?

19 **THE WITNESS (Borkowski):** Yeah, so the -- the wire --
20 the agricultural fence is a fence specifically
21 designed to keep large cattle, sheep, other types
22 of species contained, while at the same time
23 allowing for smaller species to go through it.

24 So generally speaking, the mesh is about a
25 six-inch mesh. And so it allows for those things

1 to move freely through the fence.

2 MR. HANNON: Okay. Thank you. I don't know if there's
3 any literature out there, but has anybody done an
4 analysis of the drainage associated with the sheep
5 paddocks, and what that may or may not do with
6 water quality?

7 And the primary reason I'm raising the
8 question is because of the two open swales on the
9 east and western part of the site, I believe, or
10 at least draining the water that way.

11 I'm just curious if there are any studies out
12 there where you can pull together some research
13 just to make sure that we're not running into any
14 problems here.

15 THE WITNESS (Borkowski): Yeah, so there's the -- the
16 combination of the year-round coverage and deep
17 coverage of ground cover that will be present acts
18 as certainly a filtering agent before things get
19 down to those water retention facilities.

20 But it's certainly something that could be a
21 part of the monitoring that's already slated to
22 transpire.

23 MR. HANNON: Okay. Thank you.

24 A comment on an Interrogatory Siting Council
25 Question Number 1-39. It talks about the

1 response. It says, if necessary, based on field
2 conditions, straw bales can be added to the
3 upslope side of the silt fence. My preference
4 would be to include the hay bales, but that's just
5 a personal preference, and seeing as how you folks
6 offered.

7 The only other question that I have right now
8 is I was looking at the operations and maintenance
9 manual, and on page 12, which is the system
10 maintenance, 7.0 system maintenance, the question
11 that I have for you is, you talk about in 7.1 in
12 grounds maintenance, visually inspect perimeter
13 fencing for damage and then report as observed.

14 But what I didn't see anywhere in here, and I
15 know we talked about it, was needing to maintain
16 some vigilance over the first two years of the
17 growing season to make sure that the grass is
18 growing or everything is growing.

19 But after we get past the second year, we
20 have a heavy rainfall, stuff happens, areas wash
21 out; so I'm just wondering if also including in
22 that would be as people are walking around the
23 site checking the perimeter fencing for damage,
24 they can also check to see if there's any erosion
25 that's occurred, and then go ahead and address

1 that as soon as they see it rather than let it
2 fester and create a major problem for people later
3 on down the road?

4 **THE WITNESS (Borkowski):** Yes, that's a good
5 observation and enhancement for our manual, for
6 sure. So it's, I think, something they do, but
7 not documented.

8 **MR. GOLEMBIEWSKI:** Okay. Thank you.

9 Mr. Morissette, that concludes my questions.

10 **THE HEARING OFFICER:** Thank you, Mr. Hannon. And good
11 afternoon, everyone. It's my turn to ask some
12 questions. I'm going to start it off having to do
13 with noise.

14 I'm curious as to whether there's an option
15 to put noise panels around the transformers, and
16 whether that would be helpful to minimize the
17 noise for the abutting residential areas?

18 **THE WITNESS (Borkowski):** It's certainly something we
19 can consider doing. That you know, sometimes what
20 we've also done in the past is put some
21 incremental landscaping right there. But you
22 know, a wooden fence going around the outside edge
23 would probably be a really thoughtful, and
24 certainly an okay thing for us to do.

25 **THE HEARING OFFICER:** Great. I think that would be

1 helpful. Thank you.

2 I'm following up on Mr. Hannon's question
3 relating to the hundred feet on page 13 of the
4 narrative. Section four, it talks about the
5 hundred feet outside the limits of construction,
6 and then it continues on page 14 to talk about the
7 intermittent watercourse as well.

8 Is that what you were referring to in your
9 response to Mr. Hannon, that construction
10 activities actually are taking place within the
11 hundred feet, having to do with the stormwater
12 features versus that statement?

13 THE WITNESS (Borkowski): Yes, that is -- yes, that is
14 an accurate reflection of what I was contemplating
15 in that statement.

16 THE HEARING OFFICER: Great. Thank you.

17 Okay. I'd like to go through a couple of
18 interrogatories in set one. The first is
19 CSC-1-11. And it refers to, in the response, it
20 says the address nearest residence to the solar
21 perimeter is 38 Middle Road. We actually got a
22 letter from the resident at 32 Middle Road.

23 My first question, did anybody have any
24 discussions with Mrs. Carden, I believe her name
25 is?

1 THE WITNESS (Borkowski): I believe they were part of a
2 meeting that we held with some local members where
3 they provided us comments.

4 THE HEARING OFFICER: Okay.

5 THE WITNESS (Borkowski): They were a part of that
6 meeting.

7 THE HEARING OFFICER: All right. Well, she
8 specifically discussed the poles along the
9 entrance to the facility, and was quite concerned
10 about that.

11 Did you address her concerns at all?

12 THE WITNESS (Borkowski): Yes, that was the basis for
13 us moving the poles from, I believe, 25-foot from
14 the road to more than a hundred-foot from the
15 road. So it was a result of that meeting and
16 those comments that that change to the plan set
17 was made.

18 THE HEARING OFFICER: Okay. The attachment CSC 1-11,
19 which is extremely difficult to read, shows the
20 distances from the -- I believe it's the property
21 line?

22 THE WITNESS (Borkowski): Yes.

23 THE HEARING OFFICER: So 38 Middle Road is 239 feet.

24 THE WITNESS (Borkowski): Yes.

25 THE HEARING OFFICER: 28 -- I'm sorry, 32 is. And then

1 28 is 240, 60?

2 **THE WITNESS (Borkowski):** Yes.

3 **THE HEARING OFFICER:** Okay. So in this drawing, I
4 believe, or this exhibit, the little dots along
5 the access road are the poles. Correct?

6 **THE WITNESS (Borkowski):** The black dots along the
7 access road are the poles. And what you are
8 looking at reflects the -- that is the old plan
9 set, where it was, I believe, 25 feet off the
10 property line -- is where that first pole comes
11 in.

12 That has now been moved to, I believe, a
13 little over a hundred feet back.

14 **THE HEARING OFFICER:** Okay.

15 **THE WITNESS (Borkowski):** That was after this
16 interrogatory was there, but is reflected in the
17 plan that has been subsequently provided to the
18 Council.

19 **THE HEARING OFFICER:** Okay. And that plan was filed
20 with your pre-filed information. Is that correct?

21 **THE WITNESS (Borkowski):** Perhaps Mr. Mc -- yes, that
22 was, yes.

23 **THE HEARING OFFICER:** Okay. All right. We'll go there
24 in a minute.

25 So now we're significantly further back.

1 THE WITNESS (Borkowski): Yeah.

2 THE HEARING OFFICER: I'll look at that here in a
3 second. So the access road, do you have an
4 estimate of how many feet the access road is to
5 the 28 Middle Road property line?

6 THE WITNESS (Borkowski): Yes, I do.

7 It is approximately 75 feet.

8 THE HEARING OFFICER: Seventy-five feet? And then
9 another, let's say 16 for the road would be about
10 90, 91 feet to the -- maybe 95 feet to the actual
11 interconnection facilities, I'll call it?

12 THE WITNESS (Borkowski): Yes.

13 THE HEARING OFFICER: Okay. All right. I also noticed
14 that the vegetation stops approximately in the
15 middle of 28 Middle Road, adjacent to the
16 garden -- I'll call it the community garden.

17 Is there any reason why it didn't continue
18 and so go on --

19 THE WITNESS (Borkowski): There's not --

20 THE HEARING OFFICER: Excuse me. Go ahead.

21 THE WITNESS (Borkowski): Yeah. So that it was
22 originally there for the -- because the community
23 garden would be there, and there was some
24 opposition by the neighbors expressed to the
25 notion of a community garden and not wanting other

1 people there.

2 In the event that's removed, our expectation
3 would be and our statement is that the screening
4 would continue along that property line.

5 THE HEARING OFFICER: Okay. So it would continue along
6 the property line?

7 THE WITNESS (Borkowski): Yes, yes.

8 THE HEARING OFFICER: Would it end at the road, or
9 would it continue down to Middle Road?

10 THE WITNESS (Borkowski): Hold on for one minute while
11 I look at the updated plan for that.

12 THE HEARING OFFICER: Great. Thank you.

13 (Pause.)

14 THE WITNESS (Borkowski): Yeah, so those trees would
15 continue around the corner up to the, and just
16 beyond the area where the first interconnect pole
17 is.

18 THE HEARING OFFICER: Okay. All right.

19 So that whole area would be green --

20 THE WITNESS (Borkowski): Yes.

21 THE HEARING OFFICER: -- with additional plantings?

22 THE WITNESS (Borkowski): Yes.

23 THE HEARING OFFICER: Okay. All right. I'm going to
24 move on to CSC 1-21. You say here that a
25 transmission study was needed. Do you know why?

1 THE WITNESS (Borkowski): It's a really good question.

2 We did not think it was needed. The utility
3 forced us to do the extraordinarily expensive
4 transmission study to tell us that there was no
5 need for a transmission study because there was no
6 impact.

7 THE HEARING OFFICER: Interesting. Okay. All right.

8 Okay. We're going to jump to the
9 interconnection. You mentioned -- you responded
10 to Mr. Silvestri's question about contacting
11 Eversource. I wasn't sure of your response,
12 whether it was an affirmative that you did or did
13 not contact Eversource and ask them about pad
14 mount and undergrounding your interconnection
15 facilities?

16 THE WITNESS (Borkowski): We have not contacted them
17 about pad -- pad mounting the equipment. That
18 would result in a change to our current
19 interconnection agreement that would likely put --
20 that would put us having to refile and have it be
21 studied with that.

22 THE HEARING OFFICER: I'm not sure it would need to be
23 restudied, because your input into the system is
24 going to be unchanged -- but it would require a
25 new design. I would agree with that.

1 And we have seen that Eversource has been
2 willing to reconsider the designs, and have gone
3 with underground and pad-mount equipment. So
4 contacting Eversource may be in the best interest
5 of this project to see what can be done here.

6 Looking at set number two, CSC-49, we asked
7 for the price estimates of overhead versus
8 underground, and no estimates were provided. Have
9 you had an opportunity to re-look at that?

10 THE WITNESS (Borkowski): We do have the cost for the
11 overhead interconnect.

12 THE HEARING OFFICER: Yeah?

13 THE WITNESS (Borkowski): Hold on, let me just -- I've
14 got to find them.

15 THE HEARING OFFICER: Well, you actually responded in
16 the introductory. I have the cost for the
17 overhead.

18 THE WITNESS (Borkowski): Gotcha.

19 THE HEARING OFFICER: I'm more interested in the cost
20 of going underground.

21 THE WITNESS (Borkowski): Yes, we do not have that
22 without formally requesting it from the utility.

23 THE HEARING OFFICER: Well, in your experience is it
24 double?

25 THE WITNESS (Borkowski): So in our experience -- so

1 the -- it's -- we have not done it in Connecticut.

2 We have done it in New York. We have done it
3 in Illinois.

4 As it relates to the primary equipment
5 associated with the interconnect, it's
6 approximately a 50 percent increase.

7 THE HEARING OFFICER: Okay. So going to the exhibit
8 associated with the one line diagram?

9 THE WITNESS (Borkowski): Yes.

10 THE HEARING OFFICER: I want to make sure I understand.

11 All right. We'll also use that in
12 conjunction with the pre-file site plan. I want
13 to go over each of the poles that you're
14 presenting. As you may be catching on here, I
15 have a problem with the interconnection.

16 Okay. First of all, before we do that, let's
17 look at the visual impact study, and we're going
18 to go to view number one. And it shows the one,
19 two, three, four, five -- five distribution poles.

20 And that's what the person in 28 Middle Road
21 will be looking at, but you also have said that
22 you've moved this back a hundred feet or 75 feet,
23 if that's correct. So you're probably at the
24 fourth pole. Is that estimating correctly?

25 THE WITNESS (Borkowski): I'm sorry, Mister --

1 Councilmember Morissette. Could you -- when you
2 said, we're at the fourth pole, what was that in
3 reference to?

4 THE HEARING OFFICER: Okay. I'm looking at the visual
5 impact study.

6 THE WITNESS (Borkowski): Yes, sir?

7 THE HEARING OFFICER: View number one, the rendering
8 for the facility from Middle Road.

9 THE WITNESS (Borkowski): Yes?

10 THE HEARING OFFICER: Okay. So there are five poles
11 there?

12 THE WITNESS (Borkowski): Yes.

13 THE HEARING OFFICER: And this was, the first pole was
14 originally at 25 feet off the road?

15 THE WITNESS (Borkowski): Yes.

16 THE HEARING OFFICER: And that's what this represents?

17 THE WITNESS (Borkowski): Yes.

18 THE HEARING OFFICER: Okay.

19 THE WITNESS (Borkowski): The first -- let me -- give
20 me one second to confirm this.

21 (Pause.)

22 THE WITNESS (Borkowski): So yeah, that first pole that
23 you kind of see in the corner, that's actually in
24 the public right of way. And then the four poles
25 are the utility interconnect poles. I believe

1 there's only four on this interconnect. Many
2 utilities require five, but I think Eversource
3 only requires four. And so that second pole is
4 actually 25 feet off.

5 And so under our new plan, our fourth pole --
6 our first pole will be -- the pole all the way out
7 in the distance will be the first pole.

8 **THE HEARING OFFICER:** Okay. All right. So if I look
9 at the access drive to the right?

10 **THE WITNESS (Borkowski):** Yes.

11 **THE HEARING OFFICER:** There's going to be screening
12 planted along this edge of the property. Correct?

13 **THE WITNESS (Borkowski):** Yes. And starting just
14 before that first pole, which -- otherwise the
15 fourth pole here, because that's where the first
16 pole will be.

17 The fifth pole, I should say, the one that's
18 all the way in the distance is going to be, in
19 essence, your first pole. This first pole that
20 you're seeing is just a normal telephone pole
21 along the -- along the roadway in the public right
22 of way.

23 **THE HEARING OFFICER:** Okay. All right. But the
24 vegetation screening is going to come all the way
25 down to the first utility pole?

1 Did I misunderstand that?

2 **THE WITNESS (Borkowski):** Yeah, so the first pole you
3 see in that picture that's on the right, that is
4 just a standard Eversource utility pole right
5 there. And then you go one, two, three -- four
6 poles. That's the one way in the distance. That
7 is going to be the first pole.

8 The three poles in the middle will not exist,
9 and the vegetative screening will start just
10 before that pole way out in the distance. There's
11 a natural kind of berm that kind of exists along
12 that roadway already.

13 We hadn't anticipated bringing the vegetative
14 screening that far forward. We could if that were
15 something the Council thought was important, but
16 those utility poles will no longer be there to be
17 screened anymore. It will just be like an
18 everyday wire that is there.

19 **THE HEARING OFFICER:** Thank you for that clarification.
20 That's something to consider, whether it needs to
21 be -- vegetation screening needs to come further
22 down that area towards Middle Road, I'm not sure
23 about that at this point.

24 Okay. If we could look at exhibit CSC-47-1,
25 which is the one-line diagram?

1 THE WITNESS (Borkowski): Okay.

2 THE HEARING OFFICER: Okay. First of all, how many
3 inverters are going to be installed in total?

4 THE WITNESS (Borkowski): Thirty-two.

5 THE HEARING OFFICER: Thirty-two? Okay.

6 THE WITNESS (Borkowski): And those inverters are, you
7 know, approximately the size of, like, a 25-inch
8 TV screen.

9 THE HEARING OFFICER: Right. Thank you.

10 Okay. So, if I look at the interconnection
11 facility, starting with lightning arrester and
12 riser pole -- so, that's one pole.

13 Then we have three -- and I want to make sure
14 I got this right. We have three additional poles
15 for generation, disconnect, a fused circuit,
16 lighting arrester, and generating disconnect
17 switch.

18 Is that one pole, or is that three poles?

19 THE WITNESS (Borkowski): That's one pole, those three
20 items.

21 THE HEARING OFFICER: Okay. So that's pole number two.
22 All right. And then we've got the utility meter
23 pole. That's pole number three. And then we have
24 the utility re-closer pole. That's number four.

25 THE WITNESS (Borkowski): Yeah.

1 THE HEARING OFFICER: Okay. And then you have pole
2 number five, which is the utility riser where you
3 interconnect with the utility?

4 THE WITNESS (Borkowski): Yeah. So would it help, be
5 helpful for me to walk through those poles and
6 their placements?

7 THE HEARING OFFICER: Certainly, that would be great.

8 THE WITNESS (Borkowski): Okay. Great. So we'll have
9 one pole that is at the entranceway for that
10 picture that we showed, which is just a normal
11 pole that kind of has a T-drop down. So that's
12 where we tap into the main wires.

13 So that's where we tap into the main wires,
14 and then that extends a hundred feet and it goes
15 to the utility re-closer pole. That's the -- the
16 first pole with equipment hanging on it. Then it
17 goes another approximately 25 feet, where you have
18 the utility meter pole. And then it goes another
19 25 feet, and you have the generator disconnect
20 pole.

21 And then it goes probably about 75 feet,
22 where there will be a pole right by the
23 transformers, and that's the riser pole. And that
24 basically brings the wire up from the transformers
25 to the hot -- same height as the other poles.

1 THE HEARING OFFICER: And that would be right by the
2 transformer bay?

3 THE WITNESS (Borkowski): That would be by the
4 transformer pad, yeah.

5 THE HEARING OFFICER: Yeah. Okay. Well, that's
6 helpful to better understand what you're proposing
7 for the interconnection facilities.

8 THE WITNESS (Borkowski): Yeah.

9 THE HEARING OFFICER: I appreciate that. Okay. Let me
10 just check to see if there's anything else.

11 (Pause.)

12 THE HEARING OFFICER: There was a comment by DEEP
13 concerning coyotes. Is the fencing that you're
14 proposing a result of that?

15 Or is it helpful in that regard, or not?

16 THE WITNESS (Borkowski): I'm sorry. Who was the
17 person who submitted the comment?

18 Did you reference?

19 THE HEARING OFFICER: The Department of Environmental
20 Protection, DEEP.

21 THE WITNESS (Borkowski): I don't remember that comment
22 off the top of my head.

23 THE HEARING OFFICER: His basic comment was, the fence
24 needs to be strong enough to keep coyotes out,
25 especially with sheep. And it should eliminate

1 the six-inch gap underneath to allow for access.

2 THE WITNESS (Borkowski): Yes.

3 THE HEARING OFFICER: But I was curious as to how did
4 that get addressed -- or did it get addressed?

5 THE WITNESS (Borkowski): Those are interesting points.

6 So the -- so what they're suggesting in that
7 is if you put six inches underneath the fence for
8 a small game, it's easy for a coyote to dig under
9 and get underneath. We are not proposing that.

10 So it was a point of clarification that
11 because our fence has the -- it's a game fence
12 already, that six-inch mesh allows the small game
13 to go through, but would not allow a coyote to go
14 through. And so we can put the fence to the
15 bottom, eliminating the ability for coyotes to
16 circumvent its protection for the sheep.

17 THE HEARING OFFICER: Very good. Well, thank you for
18 your responses. That concludes my questions for
19 this afternoon.

20 So with that, we'll conclude the hearing for
21 today.

22 MR. SILVESTRI: Mr. Morissette?

23 THE HEARING OFFICER: Yes, Mr. Silvestri?

24 MR. SILVESTRI: I'd like to piggyback on your comment
25 on that visual impact study, the first picture, if

1 I may?

2 THE HEARING OFFICER: Certainly. We'll actually go
3 through the Council and ask for any follow-up
4 questions. That's a good idea, but please
5 continue, Mr. Silvestri.

6 MR. SILVESTRI: If I understand correctly, the first
7 pole on the very left is an existing pole.

8 Is that correct?

9 THE WITNESS (Borkowski): No, but that is -- it is not
10 an existing pole, but it is a pole that would be
11 no different than poles that already exist along
12 that road.

13 So what -- what happens is the existing poles
14 are usually either between 150 or 300 feet apart,
15 but I don't think there's a pole exactly where we
16 need it.

17 Hold on one second -- actually, let me
18 confirm that. So it's a great question. Let me
19 confirm it. Bear with me one --

20 (Pause.)

21 THE WITNESS (Borkowski): Correct -- correction. That
22 is an existing pole. What would happen to it is
23 we would just have a T-drop down on it that would
24 send it out, give the ability to send it out to
25 the field.

1 MR. SILVESTRI: Okay. So that pole is existing?

2 THE WITNESS (Borkowski): Yes.

3 MR. SILVESTRI: The new proposal for poles, you have
4 the next three would be eliminated. Correct?

5 THE WITNESS (Borkowski): Yes, that's right.

6 MR. SILVESTRI: So the one in the very background would
7 be the first pole that you would put in?

8 THE WITNESS (Borkowski): Yes.

9 MR. SILVESTRI: Where would be the other three?

10 THE WITNESS (Borkowski): Behind that. So it would
11 just be -- pushed everything out into the field,
12 as opposed to along the road.

13 MR. SILVESTRI: Would they go back to where the solar
14 panels are? Or would they curve to the right down
15 the road?

16 THE WITNESS (Borkowski): They would go back to where
17 the solar panels are.

18 MR. SILVESTRI: Gotcha. Okay. And then when
19 Mr. Morissette was talking about the screening,
20 there's red poles, which I guess are a fence that
21 comes up there. Would the screening actually be
22 where those red poles are?

23 THE WITNESS (Borkowski): Let me just pull up that
24 picture again and look at it.

25 MR. SILVESTRI: Yeah, this is number one.

1 (Pause.)

2 THE WITNESS (Borkowski): Those poles in the background
3 are the game fence.

4 MR. SILVESTRI: Uh-huh.

5 THE WITNESS (Borkowski): And yes, there would be some
6 screening -- hold on, let me just -- I want to
7 look at -- I want to be accurate.

8 So there is no screening currently proposed
9 right where those red poles are right now.

10 MR. SILVESTRI: Okay. So you'd be able to look through
11 the access road and see basically what you have in
12 that visualization?

13 THE WITNESS (Borkowski): That's right. That's right.

14 MR. SILVESTRI: But there's a potential to put
15 evergreens where that fence is?

16 THE WITNESS (Borkowski): Absolutely, yes. Yes.

17 MR. SILVESTRI: Okay. Thank you.

18 Mr. Morissette, thank you for the followups.

19 THE HEARING OFFICER: Thank you, Mr. Silvestri.

20 Mr. Mercer, do you have any followups?

21 MR. MERCIER: I do not. Thank you.

22 THE HEARING OFFICER: Thank you, Mr. Mercer.

23 Mr. Nguyen, any follow-up questions?

24 MR. NGUYEN: I do not. Thank you.

25 THE HEARING OFFICER: Thank you.

1 Mr. Golembiewski, any follow-up questions?

2 MR. GOLEMBIEWSKI: Mr. Morissette, I do not. Thank
3 you.

4 THE HEARING OFFICER: Thank you.

5 Mr. Hannon, anything?

6 MR. HANNON: I do not have any additional questions.
7 Thank you.

8 THE HEARING OFFICER: Thank you. And I'm all set as
9 well.

10 THE WITNESS (Borkowski): Mr. Morissette?

11 THE HEARING OFFICER: Yes, Mr. Borkowski?

12 THE WITNESS (Borkowski): Just one quick comment just
13 to respond to Mr. Silvestri's last question.

14 As the Council considers the screening along
15 that red fence and whether that's something that
16 it feels is appropriate, sometimes the best
17 screening can just be right along the road right
18 there because it gives you kind of the greatest
19 long-term latitude.

20 So just as you're -- if you're evaluating the
21 need for that screening, it could be either along
22 the fence way in the background or closer to the
23 road. We would be either open to either of those
24 options as the Council sees in the public's best
25 interest.

1 THE HEARING OFFICER: Thank you for that comment. We
2 appreciate that. Very good. Thank you.


3 So the Council will recess until 6:30 p.m.,
4 at which time we will commence with the public
5 comment session of this remote public hearing.

6 So thank you, everyone. We will see everyone
7 at 6:30 p.m. for the public comment session.

8
9 (End: 4:46 p.m.)
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE

I hereby certify that the foregoing 117 pages are a complete and accurate computer-aided transcription of my original verbatim notes taken of the remote teleconference meeting in Re: PETITION NO.: 1558, PETITION FROM COMMUNITY POWER GROUP, LLC, FOR A DECLARATORY RULING, PURSUANT TO CONNECTICUT GENERAL STATUTES 4-176 AND 16-50K, FOR THE PROPOSED CONSTRUCTION, MAINTENANCE AND OPERATION OF A 4-MEGAWATT AC SOLAR PHOTOVOLTAIC ELECTRIC GENERATING FACILITY LOCATED AT 24 MIDDLE ROAD, ELLINGTON, CONNECTICUT, AND ASSOCIATED ELECTRICAL INTERCONNECTION, which was held before JOHN MORISSETTE, Member and Presiding Officer, on May 18, 2023.



Robert G. Dixon, CVR-M 857
Notary Public
My Commission Expires: 6/30/2025

INDEX

| WITNESSES | PAGE |
|-------------------------------------|---------|
| Michael Borkowski | |
| Amberli Young | |
| Eric LaBatte | 10 |
| EXAMINERS | |
| By Ms. Herrera-Soto | 10 |
| By Mr. Mercier | 12 |
| By Mr. Silvestri | 32, 113 |
| By Mr. Nguyen | 58 |
| By Ms. Golembiewski | 61 |
| By Mr. McDermott | 79 |
| By Mr. Hannon | 85 |
| By The Hearing Officer (Morissette) | 97 |