

STATE OF CONNECTICUT  
CONNECTICUT SITING COUNCIL

Petition No. 1611

LSE Scutum, LLC; and LSE Bootes, LLC, (Lodestar Energy) Petition for a Declaratory Ruling, Pursuant to Connecticut General Statutes §4-176 and §16-50k, for the Proposed Construction, Maintenance and Operation of a 1.93-megawatt AC Solar Photovoltaic Electric Generating Facility Located at 141 Town Farm Road, and Parcel Nos. 86-326 and 86-164, Abbe Road, Enfield, Connecticut, and Associated Electrical Interconnection.

Zoom Remote Public Hearing (Teleconference),  
on Thursday, May 16, 2024, beginning at 6:30 p.m.

H e l d   B e f o r e :

JOHN MORISSETTE, Member and Presiding Officer

1   **A p p e a r a n c e s :**

2       **Council Members:**

3       **JOHN MORISSETTE (Hearing Officer)**

4  
5       **BRIAN GOLEMBIEWSKI,**

6       **DEEP Designee**

7  
8       **QUAT NGUYEN,**

9       **PURA Designee**

10  
11       **ROBERT SILVESTRI**

**CHANCE CARTER**

12       **KHRISTINE HALL**

13  
14   **Council Staff:**

15       **MELANIE BACHMAN, ESQ.,**

16       **Executive Director and Staff Attorney**

17  
18       **ROBERT MERCIER,**

19       **Siting Analyst**

20  
21       **LISA FONTAINE,**

22       **Fiscal Administrative Officer**

23  
24       **DAKOTA LAFOUNTAIN,**

25       **Administrative Support**

1   **A p p e a r a n c e s:(cont'd)**

2   **For THE PETITIONER:**

3           **PULLMAN & COMELY, LLC**  
4           **90 State House Square**  
5           **Hartford, Connecticut   06103-3702**

6           **By:   LEE HOFFMAN**  
7                   **LHoffman@pullcom.com**  
8                   **860.424.4315**

9  
10           **LODESTAR ENERGY, LLC**  
11           **40 Tower Lane, Suite 201**  
12           **Avon, CT 06001**

13           **By:   CARRIE LARSON ORTOLANO, ESQ.**  
14                   **cortolano@lodestarenergy.com**  
15                   **203.626.2330**

16  
17   **FOR THE TOWN OF ENFIELD:**

18           **HINCKLEY ALLEN**  
19           **20 Church Street**  
20           **Hartford, Connecticut   06103**

21           **By:   JEFFREY J. MIRMAN, ESQ.**  
22                   **JMirman@hinckleyallen.com**  
23                   **860.725.6200**

1    **A p p e a r a n c e s:(cont'd)**

2    **For the GROUPED INTERVENORS (Audet, Krasinkiewicz,**  
3    **Cox):**

4            **JOHN COX**

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 (Begin: 6:30 p.m.)

2  
3 THE HEARING OFFICER: Good evening, ladies and  
4 gentlemen. This hearing is called to order this  
5 Thursday, May 16, 2024, at 6:30 p.m.

6 My name is John Morissette, member and  
7 presiding officer of the Connecticut Siting  
8 Council. Other members of the Council are Brian  
9 Golembiewski, designee for Commissioner Katie  
10 Dykes of the Department of Energy and  
11 Environmental Protection; Quat Nguyen, designee  
12 for Chairman Marissa Paslick Gillett of the Public  
13 Utilities Regulatory Authority; Robert Silvestri,  
14 Dr. Thomas Near, Chance Carter, and Khristine  
15 Hall.

16 Members of the staff are Executive Director  
17 Melanie Bachman, Siting Analyst Robert Mercier;  
18 administrative Support Lisa Fontaine, and Dakota  
19 Lafountain.

20 If you haven't done so already, I ask that  
21 everyone please mute their computer audio and/or  
22 telephones now.

23 This is a continuation of the public hearing  
24 that began at 2 p.m. this afternoon. A copy of  
25 the prepared agenda is available on the Council's

1           Petition 1611 webpage, along with a record of this  
2           matter, the public hearing notice, instructions  
3           for public access to this public hearing, and the  
4           Council's citizen's guide to the Siting Council's  
5           procedures.

6           The hearing is held pursuant to the  
7           provisions of Title 16 of the Connecticut General  
8           Statutes and of the Uniform Administrative  
9           Procedure Act upon a petition from Lodestar Energy  
10          for a declaratory ruling pursuant to Connecticut  
11          General Statutes Section 4-176, and Section 16-50k  
12          for the proposed construction, maintenance, and  
13          operation of a 1.93-megawatt AC solar photovoltaic  
14          electric generating facility located at 141 Town  
15          Farm Road and Abbe Road in Enfield, Connecticut,  
16          and the associated electrical interconnection.

17          This petition was received by the Council on  
18          February 8, 2024. The Council's legal notice of  
19          the date and time of this public hearing was  
20          published in the Hartford Courant on April 16,  
21          2024. Upon this Council's request, the Petitioner  
22          erected signs in the vicinity of the proposed site  
23          so as to inform the public of the name of the  
24          Petitioner, the type of facility, the public  
25          hearing date, and contact information for the

1 Council, including website and phone number.

2 As a reminder to all, off-the-record  
3 communications with a member of the Council or a  
4 member of the Council's staff upon the merits of  
5 this petition is prohibited by law.

6 This public comment session is reserved for  
7 members of the public who signed up in advance to  
8 make brief statements. These limited appearance  
9 statements are not subject to questions from the  
10 parties or the Council, and members of the public  
11 making statements may not ask questions of the  
12 parties or the Council.

13 In accordance with the public hearing notice,  
14 and in fairness to everyone who signed up to  
15 speak, these public statements will be limited to  
16 three minutes. Please be advised that written  
17 comments may be submitted by any person within 30  
18 days of this public hearing.

19 I wish to note that parties and interveners,  
20 including their representatives and witnesses, are  
21 not allowed to participate in the public comment  
22 session. I also wish to note for those who are  
23 here and for the benefit of your friends and  
24 neighbors who are unable to join us at the public  
25 comment session that you or they may send written

1 statements to the Council within 30 days of the  
2 date hereof by mail or by e-mail.

3 Please be advised that any person may be  
4 removed from the public comment session at the  
5 discretion of the Council.

6 We ask each person making a limited  
7 appearance statement in this proceeding to confine  
8 his or her statements to the subject matter before  
9 the Council, and to avoid unreasonable repetition  
10 so that we may hear all the concerns you and your  
11 neighbors may have. Please be advised that the  
12 Council cannot answer questions from the public  
13 about the proposal.

14 A verbatim transcript will be made of this  
15 hearing and deposited in the Enfield Town Clerk's  
16 office for the convenience of the public.

17 At this time I request the Petitioner to make  
18 a brief presentation to the public describing the  
19 proposed facility. I believe Jeffrey Macel is  
20 going to make the presentation. Jeff?

21 **JEFFREY MACEL:** Yes. Thank you very much and thank you  
22 for the opportunity to speak to you tonight. My  
23 name is Jeff Macel. I'm one of the owners at  
24 Lodestar Energy. Lodestar Energy is a Connecticut  
25 solar company. We're based in Avon, Connecticut.



1 We've previously developed a project at Enfield  
2 before.

3 This project we're here to discuss tonight is  
4 located off of Town Farm Road. It is a  
5 1.93-megawatt solar facility, which is located on  
6 approximately 12.1 acres of land. That includes  
7 all of the solar panels, the transformers, the  
8 electrical equipment, the access roadways, the  
9 fenced-in areas, and the interconnection equipment  
10 that Eversource will install.

11 There are two proposed entries to the site,  
12 which are one is required for the interconnection  
13 up on Abbe Road. If you look at this plan, that's  
14 in the top left-hand side of the rectangle. And  
15 on the bottom right-hand side of the rectangle is  
16 another access road located immediately off of  
17 Town Farm Road, street address 141 Town Farm Road.

18 The fuchsia or pink shaded areas are the  
19 solar panels as they would be laid out on the  
20 site. And the white dark border around the  
21 outside of the site, primarily on the -- actually  
22 only on the left-hand and bottom side, which is  
23 the west and south side, are the vegetative  
24 screening, which will be installed there.

25 We have submitted a plan along with this,

1 which includes the types of trees and the heights  
2 that would be included there. It is not a single  
3 row, but really an almost 20-foot wide area of  
4 vegetative cover.

5 Inside of that row of trees is a fence, and  
6 we've had some discussions about different types  
7 of fences that could be used. We had originally  
8 proposed a typical galvanized steel fence like you  
9 would see at a baseball field or at a school, and  
10 we have some flexibility with the type of fencing  
11 that can be used there.

12 As many of you know, we met with the  
13 neighbors at the Audet's house several weeks ago  
14 to get some input, and have incorporated that into  
15 some of the updated materials we have submitted.

16 Thank you for your time.

17 **THE HEARING OFFICER:** Thank you, Mr. Macel.

18 We'll now call on Heather Parent to make a  
19 public statement, followed by Britney Shermer.

20 Heather Parent, please? Good evening.

21 **HEATHER PARENT:** Hi. Good evening. Thank you,  
22 Chairman Morissette and the Connecticut Siting  
23 Council. My name is Heather Parent. I'm an  
24 abutter to the proposed solar arrays. I'm a  
25 resident -- I reside at 106 Town Farm Road. I can

1 view the majority of the field from my front  
2 window. My background right here is what I see  
3 from my front window.

4 While I'm not opposed to the properly sited  
5 and designed solar development, I am opposed to  
6 this project as I believe it is improperly  
7 designed and sited.

8 I am an environmental lawyer. I have almost  
9 24 years of experience in evaluating environmental  
10 impacts to all types of developments, including in  
11 assisting in the siting and permitting of  
12 developments. I've acted as a hearing officer in  
13 the permitting process for environmental  
14 evaluations, and I have been an environmental  
15 attorney for state agencies enforcing  
16 environmental regulations. I am speaking today on  
17 my own behalf and as an individual.

18 In my experience in recent years I have seen  
19 the environmental impacts of eight solar array  
20 sites in a different New England state where poor  
21 siting, poor site design, and poor sedimentation  
22 and erosion controls impacted environmental  
23 resources that were offsite from these eight  
24 facilities.

25 In each of these cases, sediment-laden

1 stormwater flowed from the site to resource areas.  
2 I'm going to use those as an example of the common  
3 causes of issues to the environment and identify  
4 where those common causes I see being repeated in  
5 the design of this particular facility.

6 One of the common causal elements for these  
7 cases was not considering the impact of  
8 construction activity to the change of the nature  
9 and behavior of the topsoil, thereby not taking  
10 into account the changed characteristics of the  
11 soil and stormwater calculations. This results in  
12 increased likelihood of discharges of  
13 sediment-laden stormwater to locations offsite  
14 during storm events.

15 In the proposed project before you, I do not  
16 see that the changes in vegetation from the  
17 current use of the field for crops and the  
18 compaction of the soils from the construction  
19 vehicles during the construction events -- I don't  
20 see that those were taken into consideration in  
21 the stormwater calculations.

22 Similarly, I am concerned that the existing  
23 drainage swale at the southerly border of the site  
24 is undersized and would not capture sediment-laden  
25 stormwater in the event of a large storm event

1 which would typically happen during the  
2 construction phase.

3 I have seen a number of solar array sites  
4 that had undersized stormwater detention basins,  
5 for example, and when those failed all the  
6 stormwater flows offsite and into resource areas.  
7 I'm concerned that that flowing offsite would  
8 actually land on my property.

9 Another issue that was common in those --  
10 **THE HEARING OFFICER:** Heather, unfortunately your time  
11 has expired, but thank you. You do have the  
12 opportunity to provide written statements, and I  
13 encourage you to do so. Thank you.

14 We now call on Britney Shermer, followed by  
15 Penny Ann Sroka. Britney, good evening.

16 **BRITNEY SHERMER:** Good evening. Thank you. Britney  
17 Shermer, 11 Strawberry Lane.

18 The sign on Town Farm Road, first, for the  
19 hearing tonight was very difficult to see and know  
20 about, and many people do not receive newspapers  
21 anymore. I was very disappointed with how this  
22 was told to the residents who are the ones who  
23 will be impacted mostly by the solar farm. The  
24 only way my family knew how to register for this  
25 was a good friend.

1           The solar farm will be right in the middle of  
2 a residential neighborhood where children play;  
3 residents walk on the bike path. I'm also  
4 concerned about the no traffic study being done.

5           Where the solar farm will be located is on a  
6 main road, and it's how residents get to their  
7 houses, get to and from work, children get picked  
8 up and dropped off from school, and how members  
9 get to the country club. I would have thought  
10 this would have been a priority for Lodestar, as  
11 this could impact everyday life for the residents  
12 of this community.

13           Enfield has three solar farms already. The  
14 electricity made from this solar farm is all going  
15 to Hartford and not back to Enfield. There is no  
16 benefit for Enfield from this solar farm. All it  
17 is doing is taking our farmlands.

18           I bought my house over here because of the  
19 beautiful farmlands and small-town feel, however  
20 that is quickly changing because of the solar  
21 farms going up in Enfield. We currently have  
22 three, and two of them are on this side of town  
23 already.

24           You have said you will be putting up trees to  
25 block the solar panels, however I would advise you

1 to take a look on Broad Brook Road, where the  
2 solar farm is located over there. All the trees  
3 they have planted to block the solar farm are  
4 dead. I've also heard that when birds fly over  
5 the solar farm, they die due to the heat coming  
6 off of the solar panels.

7 I have two young children; three years old  
8 and two months. We spend their days at my  
9 parents' house while my husband and I work, and  
10 they will be right across the street from the  
11 solar farm. I'm concerned for their safety  
12 because we do not know the long-term effects from  
13 these panels.

14 In addition, this farm will be right next to  
15 homeowners' properties. Would Lodestar directors,  
16 employees, contractors, CEOs like a farm built 30  
17 feet from their property from their kids and  
18 families? If these panels catch fire in the  
19 process and destroy a home, who is going to be  
20 responsible for this? The homeowner who did not  
21 ask for these panels in their backyard?

22 If this continues, I'm concerned about  
23 Enfield and our property values. They'll keep  
24 consuming our farmlands, and as a resident who  
25 could be 30 feet from a property because I also

1 live behind the farm -- a farm -- when will it  
2 end?

3 Residents are going to end up moving out of  
4 Enfield because the solar farms are just going up.  
5 This will be our fourth one, and I can assure you  
6 I do not want to live behind one.

7 THE HEARING OFFICER: Thank you, Ms. Shermer.

8 BRITNEY SHERMER: Thank you.

9 THE HEARING OFFICER: Thank you for coming out this  
10 evening.

11 BRITNEY SHERMER: Thank you.

12 THE HEARING OFFICER: We'll now call upon Penny Ann  
13 Sroka followed by James M. Sroka. Penny Ann?

14 Penny Ann Sroka, I see that you're on the  
15 screen.

16  
17 (No audible response.)

18  
19 THE HEARING OFFICER: Okay. I'll move on to James  
20 Sroka. James?

21 JAMES M. SROKA: Okay.

22 THE HEARING OFFICER: There you go. I can hear you.  
23 Thank you.

24 Go ahead, James.

25 PENNY ANN SROKA: Okay. Good evening. I'm sorry about



1           that.

2   **THE HEARING OFFICER:**   It's okay.

3   **PENNY ANN SROKA:**   Penny Sroka from 8 Cornfield Lane.

4           First, I'd like to say that the sign placed  
5   on the property adjacent to Town Farm notifying  
6   area residents was poorly placed and prepared.

7           It sits at a thin angle so that if you're  
8   driving east on Town Farm, you cannot see it.  
9   It's placed back off the road and the print is so  
10   small that you must drive onto the dirt road to  
11   see and read what it says. It certainly was not  
12   placed or prepared to encourage area residents to  
13   be aware of this hearing.

14           In a three-by-two mile area Enfield has three  
15   mega solar arrays which have bordering  
16   neighborhoods all within a half mile of all three.  
17   All the approved and proposed solar utilities are  
18   only in the southeast corner of Enfield. If the  
19   land on Town Farm and Abbe is approved, this will  
20   be the fourth mega solar utility array in that  
21   same three by two mile area.

22           This solar utility will be in the middle of  
23   three residential neighborhoods where children  
24   play. It will also be situated near our town bike  
25   path where people walk and ride bikes. It will

1 also be within a half a mile of our golf course.  
2 It will also be situated on land that, after  
3 living here for 39 years, I have seen flood every  
4 single year.

5 I can't believe it's safe to have a power  
6 station sitting in the middle of water in the  
7 spring and fall. It would also be sitting 30 feet  
8 from the property line of Abbe Road residents.

9 We don't know the effect of these solar  
10 utility arrays on the environment around them in  
11 the future, or the chemicals they may produce.  
12 What happens if any of the panels should start a  
13 fire? What will be the effect on bordering  
14 residents' homes should they catch fire when they  
15 are 30 feet from the property line?

16 Enfield taxpayers and the Town of Enfield  
17 Police and Fire will bear the burden of emergency  
18 responses for electricity generated 100 percent  
19 for the city of Hartford. Between Enfield, East  
20 Windsor and Ellington, we have one third of the  
21 state's solar arrays, slash, fields.

22 Why should we be required to have another  
23 solar utility here in the middle of our  
24 neighborhoods? Shouldn't other towns in the state  
25 share the burden? How about the property that's

1 closer to those benefiting from the solar array?

2 We have an industrial park located in the  
3 commercial area of Enfield and adjacent to 91, yet  
4 no solar utility arrays are being built there,  
5 which would be a more appropriate area. The Town  
6 is not permitted to determine appropriate  
7 placement for these solar utilities.

8 With all the open space in Connecticut, why  
9 would you put it next to residential homes that  
10 hear the noise and deal with the issues? These  
11 power utility companies try to obtain our farmland  
12 because they do not want to incur the expense of  
13 clearing the land such as in an industrial park,  
14 but they are the ones receiving the financial  
15 gains from these solar utilities.

16 Does the Town get any benefit from them? No.  
17 Does the neighbors ordering the utilities? No, we  
18 get the headaches.

19 If the fourth solar utility is approved on  
20 Town Farm and Abbe, it won't be long before the  
21 southeast corner of Enfield will also be an  
22 industrial park, because no one wants to live near  
23 where these solar utilities are 30 feet from their  
24 property line. Would anyone on the Siting Council  
25 want a solar utility 30 feet from your residential

1 property line or even within a half a mile from  
2 it?

3 Thank you.

4 THE HEARING OFFICER: Thank you, Penny Ann.

5 I will now call upon James Sroka. James?

6 JAMES M. SROKA: James Sroka, 8 Cornfield Lane.

7 Listening to the hearing, I can tell you there was  
8 no meeting with residents on Town Farm Road or the  
9 neighborhoods of the two abutting streets,  
10 Hayfield and Cornfield.

11 We're also directly affected by the solar  
12 utility. We're looking right at it. Basically,  
13 it's in our front yards. We have lived here for  
14 39 years and have been fighting for a bike path  
15 since the beginning of our development. Now we  
16 are going to have a solar utility approximately 45  
17 feet from it, and there is a concern it won't even  
18 be constructed now.

19 The construction of the solar utility will  
20 cause additional traffic from the construction  
21 vehicles and heavy equipment entering and exiting  
22 the property. In addition, this will deteriorate  
23 our roads, which was recently paved. We already  
24 have a consistent flow of traffic from school  
25 buses, the golf course and speeding traffic

1 traveling from Somers to 91.

2 The inverters, pads and transformers are  
3 going to be right across the street from the homes  
4 on Town Farm and Cornfield Lane. The noise, sound  
5 barriers possibly proposed and plantings are also  
6 a concern. There is also the concern of noise and  
7 the hours of the construction to erect the solar  
8 array. When there has been farm equipment working  
9 in the fields, we can hear it clearly, but farm  
10 equipment doesn't run all day, seven days a week,  
11 365 days a year.

12 One of the considerations is detriment to  
13 scenic -- to the scenic area. Right now, we look  
14 at a quiet, beautiful farmland. With the  
15 construction of this utility, we will no longer  
16 hear the birds, but the noise of inverters and  
17 transformers. And we'll look at chain-link fences  
18 and metal fences.

19 We are not convinced the plantings will be  
20 maintained. They are not maintained on Broad  
21 Brook Road and are dying after only a couple  
22 years. In the hearing it was indicated there will  
23 be robust planning on Abbe Road's side. But the  
24 Town Farm Road side is in our front yards on Town  
25 Farm, Cornfield and Hayfield Roads.

1           As one council member indicated, we shouldn't  
2 have to wait five years for the plantings to hide  
3 these panels, which may never happen at all if the  
4 plantings aren't maintained.

5           As we discussed -- as was discussed in the  
6 hearing, I believe a new measurement should be  
7 made of how far it is from the inverters,  
8 transformers and pads to the house on the corner  
9 of Cornfield and Town Farm directly across from  
10 the access road. We are very concerned about the  
11 chemicals, spill accidents, leaks, PFAS leakage  
12 into the water supply. No one knows the effect of  
13 these solar arrays on the environment in 5, 10 or  
14 even 20 years. A classmate of ours owns the farm  
15 to the east of this property. We do not know what  
16 the effect will be on his farm if he continues to  
17 plant on that land.

18           Some may believe this is the best site for  
19 these solar arrays, however the three  
20 neighborhoods surrounding these solar arrays have  
21 a different opinion. And Enfield has shared more  
22 than their burden of housing three solar arrays  
23 for the state; Eversource and these large solar  
24 utility companies within a three to two-mile  
25 radius.

1 Thank you.

2 THE HEARING OFFICER: Thank you, Jim.

3 I'll call upon Lisa Crouse. Lisa, followed  
4 by Carl Veilleux. Lisa, Lisa Crouse?

5  
6 (No response.)

7  
8 THE HEARING OFFICER: Okay. I don't see Lisa on the  
9 screen. We will move on to Carl Veilleux.

10 Carl, Good evening.

11 CARL VEILLEUX: Good evening. Can you hear me?

12 THE HEARING OFFICER: Yes, I can. Thank you.

13 CARL VEILLEUX: I also live in the Abbe Road area on 8  
14 Bobolink Lane, and I just wanted to speak briefly  
15 tonight to just support others who are in  
16 opposition to this solar development.

17 I too feel the same way in regards to its  
18 detriment to the environment, to the property  
19 values of homes in the area. And also the fact  
20 that we in Enfield have our -- have given our  
21 share of properties for solar development, and I  
22 respectfully ask the Siting Council to look for  
23 other opportunities in the state of Connecticut.

24 Thank you.

25 THE HEARING OFFICER: Thank you, Carl.

1 I will go back to Lisa Crouse. Lisa?

2  
3 (No response.)

4  
5 THE HEARING OFFICER: Unfortunately, it doesn't look  
6 like Lisa has joined us this evening.

7 Okay. Well, that concludes our hearing for  
8 this evening. That's all the speakers that we  
9 have on the list.

10 So the Council announces that we will  
11 continue the evidentiary session of this public  
12 hearing on Tuesday, June 4, 2024, at 2 p.m., via  
13 Zoom conferencing.

14 A copy of the agenda for the continued  
15 evidentiary session will be available on the  
16 Council's Petition Number 1611 webpage along with  
17 the record of this matter, the public hearing  
18 notice, instructions for public access to the  
19 evidentiary hearing session and the Council's  
20 Citizen's Guide to Siting Council procedures.

21 Please note that anyone who has not become a  
22 party or intervener, but who desires to make his  
23 or her views known to the Council may file written  
24 statements with the Council until the public  
25 comments record is closed. A copy of the



1 transcript of this hearing will be made available  
2 at the Enfield Town Clerk's office.

3 I hereby declare this hearing adjourned, and  
4 thank you everyone for coming out this evening and  
5 your participation.

6 Thank you. Have a good evening.

7  
8 (End: 6:54 p.m.)  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE

I hereby certify that the foregoing 25 pages are a complete and accurate computer-aided transcription of my original verbatim notes taken of the remote teleconference public hearing of the Connecticut Siting Council in Re: PETITION NO. 1611, LSE SCUTUM, LLC; AND LSE BOOTES, LLC, (LODESTAR ENERGY) PETITION FOR A DECLARATORY RULING, PURSUANT TO CONNECTICUT GENERAL STATUTES §4-176 AND §16-50k, FOR THE PROPOSED CONSTRUCTION, MAINTENANCE AND OPERATION OF A 1.93-MEGAWATT AC SOLAR PHOTOVOLTAIC ELECTRIC GENERATING FACILITY LOCATED AT 141 TOWN FARM ROAD, AND PARCEL NOS. 86-326 AND 86-164, ABBE ROAD, ENFIELD, CONNECTICUT, AND ASSOCIATED ELECTRICAL INTERCONNECTION, which was held before JOHN MORISSETTE, Member and Presiding Officer, on May 16, 2024.



Robert G. Dixon, CVR-M 857  
Notary Public  
My Commission Expires: 6/30/2025