

**CERTIFIED
COPY**

STATE OF CONNECTICUT
DEPARTMENT OF ENERGY AND
ENVIRONMENTAL PROTECTION
PUBLIC UTILITIES REGULATORY AUTHORITY

STATE WATER PLANNING COUNCIL

Regular Meeting held Via Teleconference on
August 3, 2021, beginning at 1:30 p.m.

H e l d B e f o r e :

JOHN W. BETKOSKI, III, CHAIRMAN,
and PURA VICE-CHAIRMAN

1 **A p p e a r a n c e s :**

2 **WATER PLANNING COUNCIL MEMBERS PRESENT:**

3 **MARTIN HEFT (OPM)**

4 **LORI MATHIEU (DPH)**

5 **GRAHAM STEVENS (DEEP)**

6
7 **ALSO PRESENT (on record):**

8 **KAREN BURNASKA**

9 **MARY ANN DICKINSON**

10 **RYAN TETREAUULT**

11 **TIZIANA SHEA**

12 **JOE AYOTTE**

13 **MIKE DIETZ**

14 **VIRGINIA de LIMA**

15 **PETER HADLER**

16 **CARLENE TAYLOR**

17 **ALICEA CHARAMUT**

18 **MARY ANN DICKINSON**

19 **DENISE SAVAGEAU**

20
21 **COUNCIL STAFF:**

22 **LAURA LUPOLI**

23 **ALYSON AYOTTE**

24

25

1 (Begin: 1:30 p.m.)

2
3 THE CHAIRMAN: Okay. Good afternoon, everyone.

4 Welcome to Water Planning Council meeting for
5 August 3, 2021. I call this meeting to order.

6 The first order of business will be the
7 approval of the minutes of the July 6, 2021
8 meeting transcript.

9 Do I hear a motion?

10 MARTIN HEFT: So moved.

11 THE CHAIRMAN: Motion made. Seconded?

12 LORI MATHIEU: Second.

13 THE CHAIRMAN: Motion made and seconded that the
14 transcript from the July 6th meeting be approved.

15 All those in favor?

16 THE COUNCIL: Aye.

17 THE CHAIRMAN: The motion is carried.

18 Okay. We have busy agenda. We have three
19 presentations that we're going to hear this
20 afternoon, one from Ryan Tetreault and Tiziana
21 Shea with DPH. And Joe Ayotte from the USGS will
22 present on private wells and the arsenic and
23 uranium study.

24 Then we're going to have Mike Dietz on the
25 best water quality testing. And then we're going

1 to have Peter Hadler who -- I'm very happy he's
2 going to be with us to discuss the Low Income
3 Household Water Assistance Program, which is a
4 federal program that is going to be channeling
5 some money into the State for those individuals
6 not having the funds to pay for their water.

7 So we're putting a program together and then
8 we're going to hear about that.

9 So if there's no questions, we'll go right to
10 Ryan.

11 RYAN TETREULT: Good afternoon, everybody. Thank you
12 for having us. I'm Ryan Tetreault, Supervisor of
13 the private well program at the Connecticut
14 Department of Public health. And today we're
15 going to talk about our arsenic and uranium study
16 that we conducted in partnership with the USGS.

17 We were applying for a grant application
18 which was focused on reducing drinking water
19 exposures. And we noticed that other states to
20 our north, Massachusetts, New Hampshire and Maine
21 had done similar studies and we included funding
22 for our grant to study the prevalence of arsenic,
23 uranium in private wells here in Connecticut.

24 And I'm going to turn it over to Tiziana
25 Shea, one of my staff in the private well program

1 and then Joe Ayotte with USGS who's going to
2 speak, speak about the findings of the report
3 itself.

4 So I'm going to turn it over to Tiz.

5 TIZIANA SHEA: Bear with me while I share my screen
6 with this presentation -- my apologies.

7 There we go. Hopefully everybody can see
8 that. All right. So I'm Tiziana Shea. I work
9 for the Department of Public Health, the Private
10 Well Program. And I'm going to be talking a
11 little bit about our private well, arsenic and
12 uranium study; how we collected the data, our
13 outreach, how we actually used the opportunity for
14 outreach, and then how we can use some of the
15 findings that we developed through the study.

16 In Connecticut about 23 percent of our
17 state's population are served by their own private
18 well water systems, and that equates to over
19 820,000 people. So Connecticut residents, it's a
20 pretty large population. And so it's really
21 important for us to consider outreach measures,
22 our approach to make sure that we're informing
23 private well users, providing them with the
24 technical assistance they need and giving them
25 outreach measures that they deserve so that they

1 better understand how to -- what they should be
2 testing for and how they should maintain their own
3 private well water systems, since it's their
4 responsibility.

5 Typically in Connecticut private well users,
6 it's the responsibility of the private well user
7 to test their own water quality. But we do have a
8 state laboratory, a state DPH laboratory that can
9 be used by local and state agencies for
10 investigatory reasons. And that would include
11 things like studies or contamination
12 investigations. Otherwise, it's not open to the
13 general public.

14 About eight years ago, as Ryan alluded to,
15 many of our nearby states had started to find the
16 prevalence of both arsenic and uranium in their
17 well water. So we decided to embark on a mission
18 to determine whether or not they were also an
19 issue here in Connecticut, which we expect --
20 expected that they would be.

21 We realized that this would also serve as an
22 opportunity for us to do some additional outreach
23 to private well users throughout the state,
24 targeting those areas where private wells were
25 prevalent and just spread the word about general

1 maintenance and testing recommendations.

2 A VOICE: (Unintelligible.)

3 TIZIANA SHEA: Does someone have a question?

4
5 (No response.)

6
7 TIZIANA SHEA: Okay. Sorry.

8 Okay. So around the same time we developed a
9 guidance document about private well testing. So
10 this guidance document is available online. We
11 handed it out readily during our outreach events.

12 And at that time what we did was we went
13 ahead and included things like arsenic and uranium
14 in the recommendations that we were making to
15 homeowners for testing, as we suspected that we
16 would be finding them here also in Connecticut
17 based on the geology that we have in Connecticut
18 and the similarities we are seeing in other nearby
19 states.

20 So we weren't sure to what extent we were
21 going to find these things. So obviously at that
22 point we needed to, kind of, dig a little bit
23 deeper.

24 Arsenic and uranium, they're naturally
25 occurring and they can leach into our groundwater

1 from bedrock and soil, and unfortunately there is
2 no associated taste/color/odor.

3 So a homeowner is not going to know if
4 they're present in their water unless they test
5 for them. So really testing is the only way to
6 know if they are there, not unlike other
7 contaminants in water as well.

8 So the state laboratory decided to help us
9 out. They were willing and able to give us some
10 assistance here by providing us with bottles and
11 with the analysis we needed to actually gather
12 this data. So for logistical reasons, we also had
13 to consider the fact that the homeowners were
14 going to have to collect the samples on their own.

15 So we had to make sure that the sample
16 collection was going to be done by private well
17 users, that it was going to be something that they
18 could easily do on their own and wouldn't be
19 terribly complex.

20 The other thing we need to consider was that
21 we were going to be handling quite a bit of
22 samples to -- over to the state lab for analysis.
23 So we're going to be giving them samples in bulk,
24 and it needed to be something that they could have
25 the capacity to actually manage once they actually

1 got the samples from us -- fortunately, arsenic
2 and uranium, for the -- for both. So that was a
3 positive.

4 We had to consider our approach. Our first
5 approach was actually to work with our local
6 health departments. And local health at the very
7 beginning were given a set of bottles for each of
8 their communities, and they would hand them out to
9 their homeowners based on volunteers that wanted
10 them.

11 But we needed to -- we quickly realized that
12 we needed to think bigger. It just wasn't enough.

13 So our first approach after that was to
14 target agricultural fairs. And obviously, in
15 Connecticut we have large fairs where we have a
16 lot of community members that are going to be
17 going to, and they also happen to be very
18 conveniently placed in areas with prevalence of
19 private wells. So it worked out pretty well for
20 us.

21 But what we found -- as I said, although we
22 met with some success at these events, most of the
23 fair-goers were there really for the fried foods
24 or for the rides, and they weren't really there to
25 talk to us about their water.

1 So we definitely talked to a lot of folks and
2 gained some interest. But the bottles, what we
3 found the most discouraging part of it was that
4 the bottles that we had handed out, we actually
5 got a very low return rate on, in some cases
6 around 30 percent.

7 So we weren't really getting enough return on
8 our investment and needed to refine our approach.
9 So based on that, we decided to do more targeted
10 events. So what we did was we actually set up
11 shop in towns with prevalence for private wells.
12 And we had events held in the evenings or
13 afternoons to better accommodate people's
14 schedules. People would be coming home from
15 school or from work and could stop by and talk to
16 us.

17 What we did was we actually had a sample kits
18 set up with all the instructions they needed. And
19 with that, we also took that opportunity to make
20 sure that we included additional educational
21 materials about general private well testing,
22 recommendations and maintenance on private wells.

23 And what we found with that was that it
24 usually targeted a very good response from the
25 community. Sometimes they were smaller targeted

1 crowds, and sometimes they were very large
2 crowds -- but the bottom line was/is that the
3 folks that came to these wanted to be there and
4 they were generally interested in their well, and
5 their well being associated with their well water
6 quality. So it was really quite successful for us
7 in that regard.

8 And what we found was the return rate for
9 these targeted events for the water bottles was
10 significantly improved, usually around the
11 90 percent mark versus where we were with
12 agricultural fairs. So it was really a great
13 approach and we were able to make a lot of headway
14 with our outreach measures as well.

15 So along the way, we partnered with quite a
16 few folks. We partnered with our Connecticut
17 local health departments and districts; obviously
18 the state laboratory. And in many of these
19 targeted events what we actually did was we asked
20 our well water contractors or our private
21 laboratories to join us at some of these outreach
22 events just to give people the ability to really
23 think outside; just arsenic and uranium and a free
24 test kit, and really give them more of a holistic
25 approach on their water quality.

1 And we found that that was really successful
2 and it really helped people gain the information
3 that they need -- needed about their water
4 systems.

5 And then we approached the United States
6 Geological Survey to help us with the data that we
7 were collecting. And during this approach, what
8 we did was USGS helped us develop a grid approach
9 for the entire state. And this was a way for us
10 to actually refine the information and the data
11 that we had and were collecting.

12 So we wanted to make sure that we established
13 adequate representation across the state where
14 private wells were prevalent. We wanted to make
15 sure that everybody had a fair share of making
16 sure that their data was included and represented
17 in this, in this study that we did, and any
18 findings that we actually approach with it.

19 So we started with a grid of 400 cells, and
20 then we basically modified it from there for
21 manageability reasons. And at the very end I made
22 a final push to actually collect samples in any of
23 the areas where we just didn't have enough data or
24 we had no data at all.

25 In some of those cases it was a little bit

1 tough because there might have been very rural
2 areas where, you know, there was only a few houses
3 that were in those areas -- but we, for the most
4 part, we were able to collect data for every
5 single one of the cells that we needed.

6 So more importantly, why? Why arsenic and
7 uranium? You know, what are the concerns
8 associated with it? And obviously, as all of this
9 was happening as we were doing these events we
10 were getting water quality results in, and so we
11 needed some manageable things; actually having the
12 events and then dealing with the data that was
13 coming in.

14 So as data was coming in I was actually
15 providing letters to each of the homeowners that
16 participated. So they had their water quality
17 results and they also had educational materials
18 that went along with that based on what the
19 results were. The letter -- actually, I sent a
20 letter that explained the results if they had
21 questions about what it meant.

22 And anyone who exceeded arsenic/uranium, or
23 both MCLs was prioritized. So as soon as we got
24 those results in those letters went out really
25 quickly. And with that I provided educational

1 materials that helped them understand what to do
2 about it.

3 The MCL for arsenic is 10 micrograms per
4 liter, or .1 milligram per liter -- I'm sorry that
5 should be .01. And the primary health concerns
6 with arsenic are with the water that's being
7 consumed. For arsenic it may increase your risk
8 for bladder, lung, liver, skin cancers, and can
9 also cause health issues associated with skin,
10 cardiovascular, immune and neurological systems.

11 So unfortunately, the list of health effects
12 that are associated with arsenic are pretty long
13 and quite scary for a lot of folks. So we want to
14 make sure that we're being conscientious of these
15 issues and informing homeowners about the
16 prevalence of the potential for arsenic to be in
17 their water so they can protect their health.

18 And likewise for uranium, also the same way;
19 the primary health concern is with the water
20 that's being consumed and the MCL is 30 micrograms
21 per liter for uranium. And uranium exposure from
22 drinking water may negatively affect kidneys over
23 time.

24 So for both, because we were doing these
25 events we wanted to make sure that we had guidance

1 documents that spoke to both of these, these
2 contaminants in water and could answer a lot of
3 the questions that homeowners might have.

4 So these were provided at each one of our
5 outreach events. And so during our face-to-face
6 events these guidance documents were provided to
7 every homeowner that came to talk to us. So they
8 had the information upfront about why they were
9 doing the sample collection and what these things
10 would mean if they were found in their water.

11 It also talks about health effects. It talks
12 about what they can do about it if they find it
13 and where it comes from, things of that nature.
14 And these are available on our website as well.

15 If a private well owner does find arsenic or
16 uranium in the water, they can absolutely do
17 something about it. In most cases, like I
18 mentioned before, both arsenic and uranium are
19 primarily concerned with the water that you're
20 ingesting, so the water that you're consuming.

21 So reverse osmosis can be used for both
22 treating arsenic and uranium. Generally speaking,
23 people would install this at a point of use or at
24 their kitchen sink, and would treat the water that
25 they would use for consumption purposes.

1 For whole-house treatment an ion exchange
2 unit would be a viable option for a whole house
3 for both arsenic and uranium. And for arsenic
4 only, metal oxide filtration is another option
5 that could be used, and metal oxide filtration
6 could be used both as point of use or the whole
7 house treatment.

8 So the bottom line is that the study warrants
9 recommending all private well owners testing for
10 arsenic and uranium at least once. And so I'm
11 going to turn it over to Joe in just a few
12 minutes, and Joe will explain the breakdown of the
13 data that we actually got.

14 The data that we collected was done -- was
15 collected during the timeframe of 2013 to 2018.
16 And when it was all said and done we had over
17 2,000 samples for both arsenic and uranium each.
18 So we had quite a bit of data to go off of. And
19 that's what -- really we found that based on the
20 data that we collected, you know, this testing
21 recommendation to include arsenic and uranium was
22 definitely warranted. And it was something that
23 we've made sure that we pushed to help homeowners
24 understand and to try to gain their interest in
25 doing so.

1 Through the study, not only did we get
2 volunteers to collect samples, but we also found
3 through the State, through our private
4 laboratories that there was an increase in the
5 amount of folks that were testing for both arsenic
6 and uranium on their own. And that was attributed
7 probably to just word of mouth, homeowners just
8 talking to each other -- which is really powerful.

9 In April of 2021, just earlier this year, we
10 actually did a press release, a joint press
11 release with USGS to promote the findings and the
12 report itself. And what we noticed was that there
13 was, again another uptick in interest in private
14 well testing. And the labs noted it and I noted
15 it as well with people calling and asking
16 questions.

17 So it really did help us spread the word, and
18 it didn't really just cover arsenic and uranium,
19 but really helped spread the word about overall
20 testing, comprehensive testing of private well
21 water.

22 And just to kind of wrap this up, I wanted to
23 explain to folks that everything that you see at
24 the very top of this list here under the section,
25 Public Health Code Section 19-13-B101 is what's

1 currently required for all private wells that are
2 newly constructed in the state of Connecticut.

3 So when a private well is constructed in
4 Connecticut, the next step is they need to collect
5 water samples and send that to their local health
6 department for well use approval. And everything
7 at the top of this list is something that's
8 required.

9 At the bottom of the list you'll notice that
10 there are additional set of contaminants listed
11 there, and that can -- these can be required by
12 the local health department based on reasonable
13 grounds. So if the local health department knows
14 that there's an issue in the area, they can also
15 require that a newly constructed well test for
16 these additional parameters. And so the findings
17 that we have from this study can help inform those
18 decisions in local communities as well.

19 This is me. This is my contact information
20 at the bottom. You'll see a couple of our links
21 to our private well program pages. Feel free to
22 reach out with any questions at any point.

23 And from here I will turn it -- I'll stop
24 sharing and turn it over to Joe Ayotte who works
25 for the United States Geological Survey.

1 JOE AYOTTE: Okay. Thanks to Tiziana. I'll go right
2 into it, I guess, if that works for everyone.
3 I'll share.

4 Can you see that okay?

5 TIZIANA SHEA: Yes.

6 JOE AYOTTE: Yes. Okay great.

7 So thanks for having me and letting me talk a
8 little bit about the study. Just so you know, I
9 am the Chief of the Environmental Hydrology
10 Section of the US Geological Survey, New England's
11 Water Science Center and I'm based in Concord, New
12 Hampshire.

13 So for now I'm going to talk a little bit
14 about the objectives -- which you've heard some
15 about, so I'll be brief -- our approach, and then
16 get into the results, and a little bit on what
17 they mean.

18 And you heard from Tiziana that we really
19 wanted to do a better representation of what was
20 known about arsenic and uranium across
21 Connecticut, and ultimately synthesize that
22 information into representative statewide numbers.
23 Instead it can be used for planning purposes, and
24 ultimately also because these are contaminants
25 sourced from geologic materials they wanted to

1 relate this information to geology.

2 This is a generalized geologic map Of
3 Connecticut from 1985. It's currently being
4 revised, but what I want to point out is that even
5 in this generalized form the geology is highly
6 complex, and you probably know that just from
7 driving across the state.

8 But more importantly that complexity has
9 direct implications for where we find wells with
10 high concentrations of arsenic and where we find
11 wells with high uranium, and I'll show you a
12 little bit about that in a minute.

13 So also as mentioned, we used a grid
14 approach, grid-based sampling approach, equal area
15 grid cells across the state. And that does a
16 couple of things. It enables us to put the State
17 on even footing and really get representative
18 information for the state. And one of the ways we
19 represent this is by computing percentages of
20 areas across the state that have arsenic greater
21 than 10, or uranium greater than 30. And we can
22 group those by grid cell or by geology, or
23 whatever -- and I'll show you that in a moment.

24 So this map shows the very simplest of
25 results, the raw data plotted on the state map.

1 And you can see that there are quite a few samples
2 across the state. Some of them are highly
3 clustered, but really we've covered most of the
4 land area of Connecticut thanks to Tiziana and her
5 efforts, and Ryan, to get those samples and get
6 information where we needed it.

7 Still, these maps are both informative and
8 also misleading at the same time because your eye
9 is drawn to clusters of data, areas where the
10 circles are biggest representing high
11 concentrations and so on. And so this grid based
12 approach, which we speak of as a way of removing
13 some of that clustering, number one, and also
14 removing some of the bias associated with where
15 samples are collected and where they're not.

16 And so these maps show the final grid cells
17 that we used across the state, and they're colored
18 according to the percentage of wells in each grid
19 cell that had Arsenic greater than 10 on the map
20 on the left, and uranium greater than
21 30 micrograms per liter on the right.

22 And you can see a couple of things from these
23 maps. One obvious thing is there are places where
24 the arsenic concentrations or the percentage of
25 wells with high arsenic are also where the

1 percentage of wells with high uranium occur. So
2 in the northwest corner of the state you can see
3 those areas are prone to both. But Central
4 Connecticut. You can see that there is very high
5 concentrations of uranium, but not for arsenic and
6 this is not uncommon.

7 There are reasons why the two contaminants
8 co-occur, and then there are reasons why they
9 don't, and it's generally geologic and we know
10 that from other states in New England where we've
11 done similar work.

12 So we can also color these grid maps by the
13 percentage of wells with arsenic greater than
14 concentrations lower than 5 or uranium lower than
15 30. So if we took half of the arsenic, arsenic
16 greater than 5 and uranium greater than 10, this
17 is what the maps would now look like.

18 And you can see that more of the grid cells
19 are colored, because obviously there's more wells
20 that have lower concentrations than high. And you
21 start to see some patterns emerging. Mainly a
22 southwest/northeast trend of the arsenic issue
23 that we also see in other states, like New
24 Hampshire and Maine. And that uranium occurs in
25 high concentrations and in low concentrations in

1 large portions of the state.

2 If we now look at this based on much lower
3 concentrations of arsenic greater than three and
4 uranium greater than one, you can see that pattern
5 for arsenic a little better that I mentioned.

6 But This is uranium greater than one
7 microgram per liter. The standard is 30, but what
8 I want to point out is that at least some uranium
9 is fairly likely to occur in 30 percent or more
10 wells almost statewide. That's not necessarily a
11 health problem, but I just want you to know from
12 an environmental point of view we do see uranium
13 that's measurable in a lot of wells.

14 We also looked at this issue by geology,
15 which I mentioned, geology has a strong influence.
16 And here the geologic formations are colored by
17 the percentage of wells in each formation that
18 have arsenic greater than 10.

19 You can see that there are areas where the
20 geology is very much related to high arsenic, and
21 then areas where it's not.

22 And if we do the same thing for uranium, you
23 can see that it also follows some sort of geologic
24 framework, but that it's in large part opposite in
25 a few places similar to what we see for arsenic.

1 I'll flip back.

2 There's the arsenic. There's the uranium.

3 So that whole central part of Connecticut and
4 even northwest parts, sort of, differ by arsenic
5 and uranium.

6 So that's kind of it in a nutshell, and I'll
7 sort of summarize this based on the main takeaways
8 from all of that complicated map information. And
9 it kind of goes like this. About 4 percent of the
10 wells across Connecticut viewed on spatially equal
11 footing have arsenic concentrations greater than
12 the current MCL level of ten micrograms per liter.
13 About 5 percent have uranium that's higher than
14 the current MCL, 30.

15 And those are -- in some ways they're small
16 percentages, but when you think about the
17 proportion of wells in use in Connecticut for
18 private supply, that even compared to the other
19 states in New England it still represents a lot of
20 wells, and even more people.

21 The other thing to note is that
22 concentrations are highly variable well to well.
23 So it's not possible to predict individual well
24 concentrations, but rather just areas where wells
25 are more prone. That said, high concentrations

1 can occur in wells anywhere, even where the
2 probability of high concentrations is low. That's
3 an important feature.

4 Again, it's difficult to predict individual
5 wells. So as Tiziana mentioned earlier, really
6 the message is that everyone needs to test if you
7 want to know what's in your water.

8 This is the report that we produced and the
9 citation for that on the left, and the data that
10 were used in that analysis are in the citation on
11 the lower left. And I encourage you to -- anyone
12 who's interested to take a look.

13 And that's all I have. I'll leave it, leave
14 it there.

15 **THE CHAIRMAN:** Thank you. Thank you very much, Joe and
16 Tiziana. Appreciate your comments.

17 Does anybody have any questions?

18
19 (No response.)

20
21 **THE CHAIRMAN:** A very excellent presentation, something
22 that we tend to forget if it's not brought to the
23 forefront. And I think the fact that you're doing
24 the outreach you're doing is just absolutely
25 excellent.

1 So any questions?

2 LORI MATHIEU: Jack if I could?

3 THE CHAIRMAN: Sure.

4 LORI MATHIEU: To echo what Tiziana and Joe mentioned,
5 the press release that was issued, the joint press
6 release that was issued earlier this year -- a
7 quote in there from our Department, from our
8 Commissioner urging everyone who is a private well
9 owner to get tested at least once.

10 And so the background information and all of
11 the information that Tiziana walked you through,
12 and Joe walked you through about the study itself
13 and how it was developed, it basically comes down
14 to that.

15 You don't know. You can't use the map to
16 predict unless you test. And so the urging here
17 is for people to understand that there is health
18 associated concerns with both arsenic and uranium.
19 And they're real, these are what we call em MCLs,
20 maximum contaminant levels that are set for public
21 water systems across the country.

22 And when we first -- when I first got
23 involved with overseeing the private well program
24 about a year and a half ago, when this study then
25 came out we wanted to make sure that we were

1 sharing this with everyone.

2 And we're going to continue to work with our
3 local health partners to get the word out about
4 this information. So I'm thrilled with the
5 presentation today and the amount of information
6 that we've been able to bring to everybody in the
7 last 25 minutes or so.

8 THE CHAIRMAN: Thank you, Lori.

9 LORI MATHIEU: There's about 800,000 people that drink
10 water from private wells. There's about 325,000
11 private wells in our state. Many of them are not
12 tested whatsoever. So there's a lot of work to
13 do.

14 THE CHAIRMAN: Thank you. Any other questions before
15 we move on to our next presentation?

16
17 (No response.)

18
19 THE CHAIRMAN: Thank you. Can we get this presentation
20 sent out to people, Lori?

21 LORI MATHIEU: Absolutely. Yeah, absolutely.

22 THE CHAIRMAN: To the LISTSERV and Council members,
23 that would be great.

24 LORI MATHIEU: Maybe even Tiz or Joe, or Ryan, if you
25 guys could put a link for anything in this, in the

1 Zoom meeting?

2 TIZIANA SHEA: Sure.

3 LORI MATHIEU: That would be great. And then we can --
4 it's also, Joe, you had shown your QR code.
5 That's the actual study?

6 JOE AYOTTE: Yes.

7 LORI MATHIEU: Okay. And then the other -- I believe,
8 Tiz, on our webpage and possibly, Joe on your web
9 page, that the information is found there as well?

10 TIZIANA SHEA: Yeah. So the actual information, the
11 report is found on USGS's website. It's actually
12 the QR code that Joe just showed previously.

13 And then we don't have the study up on our
14 website, but if you were to look for it, you can
15 find that on USGS's website.

16 And unfortunately, I don't have a link for
17 the presentation that we just did, but I would be
18 more than happy to create a PDF of it and send it
19 out via e-mail to everyone, if that works?

20 LORI MATHIEU: Great, thank you. Yeah. That would be
21 perfect. Thank you.

22 TIZIANA SHEA: Yeah, thank you very much for inviting
23 us today.

24 THE CHAIRMAN: No. Thank you very much. Appreciate
25 it. Well done.

1 Mike Dietz, would you like to talk about
2 domestic well water quality testing? It's a nice
3 segue, a nice presentation into this presentation.

4 Mike?

5 MIKE DIETZ: Thank you, Jack. Yeah, I was going to say
6 the same thing. We certainly are hitting on an
7 important topic here. And the last thing that
8 Lori said about most people aren't testing their
9 water is a big problem.

10 And so that, that's actually the driving
11 force behind what I'm just going to present
12 briefly here today. So I don't have a formal
13 presentation. I'm just going to talk about the
14 work that we did, the subcommittee that we formed
15 to work on this issue.

16 So just briefly, I'm Mike Dietz. I'm an
17 extension educator at the University of
18 Connecticut and direct the Connecticut Institute
19 of Water Resources. And I've been participating
20 in the implementation workgroup for the State
21 Water Planning Council for the past couple of
22 years here. And this, we determined that this was
23 an important enough issue to form another sub
24 workgroup to address it.

25 So we started to meet back in October of

1 2020, and I'll just briefly mention the members
2 who participated in this, in this subgroup with
3 me.

4 So we have Don Carew from ACT labs, Jay Cohen
5 from the Department of Consumer protection, Gene
6 Farkardini from the Connecticut Realtors
7 Association, Meredith Metcalf from Eastern
8 Connecticut State University, John Mulaney from
9 USGS, Gary Robbins from UConn, Tiziana Shea from
10 DPH, Tom Stansfield from the Torrington Area
11 Health District, Ronnie Tenge from DEEP, and Ryan
12 Tetreault from Department of Public Health as
13 well.

14 So it's a great group. And you know, I
15 really just want to say right up front how
16 appreciative I am of everyone's time that they
17 gave to us to participate in this workgroup.

18 I definitely don't have all the answers, and
19 you know, we -- it was a really good group to
20 bring a lot of different backgrounds to this issue
21 and talk about these very important things.

22 So I guess what I'll say is we charged the
23 group -- and this is coming from Virginia and Dave
24 from our implementation workgroup meetings. We
25 charged this subgroup with basically saying, you

1 know, let's put everything aside, you know, all
2 the real -- the logistics of making changes to the
3 water quality testing requirements in the State,
4 and just say, you know, start out first with
5 what's the science telling us that are problems
6 right now for water quality in our state, for our
7 drinking water.

8 So that's kind of how we started. We started
9 the whole discussion with, you know, what's the
10 problem? And so naturally arsenic and uranium
11 rose to the top of that discussion.

12 The timing was really good. As Tiziana
13 mentioned, that the press came out with this in
14 April, but they had been working on this project
15 for quite a while. So the information that she
16 was learning from that, that she and Ryan were
17 learning was definitely brought into our
18 discussion.

19 So basically, you know, that that rose to the
20 top and a few other things were discussed. You
21 know, I'll just give you a couple of examples. So
22 you know, as many of you are aware, there are a
23 multitude of contaminants that we could test for.
24 We could ask people to test for, you know, to do a
25 full suite of pesticide contaminants on drinking

1 water. We could now ask people to test for PFAS,
2 because we know that's being found. This is a
3 huge issue, you know, nationwide and also big, big
4 issue of concern in our State.

5 So we just discussed those again. You know,
6 what is the science? What is the problem? So a
7 lot of these various things we realize can be
8 problems in localized areas, but as we started to
9 whittle down our discussion after that, the
10 logistics of -- okay. It's going to be extremely
11 expensive to require everyone to test for all the
12 pesticides, you know, the pesticide suite. Test
13 for PFAS. You know that's another whole can of
14 worms that we -- we really don't think we can get
15 into.

16 So basically what we came down to in our
17 recommendations are pretty straightforward. So we
18 have recommended that for private and semi-public
19 wells -- so that was an important thing that we
20 wanted to include in there. That's from Ryan and
21 Tiziana -- we would like to add arsenic and
22 uranium to the list of constituents that are
23 tested for when a new well is installed. That's
24 the first thing.

25 And secondly, we'd like to require that

1 entire list of contaminants that is tested for
2 when a well is installed, including arsenic and
3 uranium now to be done at every real estate
4 transaction that occurs in the state where a
5 private or semi-public well is included as part of
6 that property.

7 So that is the gist of it. The changes that
8 need to take place to make that happen are in
9 statutes and regulations, but what we chose to
10 focus on was the statutory change. So that is
11 Statute 19a-37. And I really need to thank Ryan
12 and Tiziana for their guidance on the statute and
13 regulatory stuff here, because this is not my area
14 of expertise. And I swear they told me these
15 things, like, 15 times -- and I still forget all
16 about it. So I really appreciate all their
17 helping us.

18 But what we've done is, in our document we've
19 provided the suggested changes to that statute to
20 reflect what we're recommending. So Dave and
21 Virginia, I just wanted to make one quick
22 statement about that.

23 That, what I call, the final-final version
24 that I sent to you all after a number of back and
25 forth e-mails here again -- I apologize for all

1 that, but there is one remnant there, right
2 underneath the summary where I say, to accomplish
3 these changes the following regulations and
4 statutes will need to be changed. And I
5 referenced the attachment.

6 So the remnant in there is the regulation is
7 still referenced, but we do not include that. So
8 we are just recommending a change to the statute
9 to address this. And if there are specific
10 questions about that I will send you to Ryan on
11 questions on that.

12 So that's basically the gist of it, Jack.
13 I'm happy to answer any questions that anyone has,
14 but again I definitely want to acknowledge the
15 work of our subgroup and the efforts that they put
16 in on this.

17 **THE CHAIRMAN:** As do we. Thank you so much, Mike. We
18 appreciate that. You know, it's pretty compelling
19 when you hear right at the beginning of the
20 previous presentation, 23 percent or 820,000
21 people are served by private wells. That's a
22 significant number of people --

23 **MIKE DIETZ:** It is.

24 **THE CHAIRMAN:** -- that we really have to have to really
25 become more vigilant to watch out for it. So the

1 work of both these groups is really timely and
2 very well done.

3 Any questions for Mike before we move on?
4

5 (No response.)
6

7 **THE CHAIRMAN:** Again, these are always discussions that
8 come up at all our meetings. So we always, you
9 know, update to Lori. You can always keep us
10 apprized what's going on this as well.

11 **MIKE DIETZ:** Sure. The one last thing I'll just add,
12 Jack? You know, we -- as you know, later on in
13 our discussions after we, kind of, honed in on
14 exactly what we wanted to recommend we did, you
15 know, have discussions about who this would
16 affect.

17 You know, the Realtors Association, again,
18 they were represented there. And you know, this
19 small change is going to be such a minor thing.
20 Most people are testing for these, you know, doing
21 at least the basic suite of water quality
22 parameters when they're purchasing a house because
23 the banks are requiring it.

24 **THE CHAIRMAN:** Right.

25 **MIKE DIETZ:** But what we're trying to prevent are the

1 people who aren't using -- aren't getting a
2 mortgage. You know, they're doing just a transfer
3 from a family member or something like that. We
4 don't want those people to potentially fall
5 through the cracks and, you know, not do that
6 testing just because they didn't know about it.

7 So, you know, this is a really small change
8 that we're asking for here. For the new, new
9 house, you know, the new construct, new well
10 construction, adding to constituents to that list
11 is a negligible change in our opinion.

12 So I just wanted to finish up with that.

13 THE CHAIRMAN: Thanks so much, Mike. I can't agree
14 with you more.

15 Okay. With that, let's move on to our final
16 presentation.

17 LORI MATHIEU: If I could say one thing? I want to say
18 thank you to Mike and all of your work and the
19 team, all of your work. It couldn't be more
20 important at this moment in time.

21 Jack, you said it very well. 23 percent or
22 820,000 people consume water from private wells
23 where the water quality is literally unknown. And
24 to add arsenic and uranium, given Joe's study, a
25 USGS study that we helped fund at the Health

1 Department is very impactful and -- and we can't
2 forget why we're doing this. There's a state
3 water plan that speaks to this.

4 And if you remember, we -- we as a Council
5 chose to identify two areas to work on, private
6 wells and water conservation. So this is where we
7 need to be. And our agency would like to move
8 this statutory change forward.

9 So we're going to be working on that. And so
10 that's why I'm quite interested in any comments.
11 I know it's maybe -- but you know this information
12 for Mike has been out for a while. But you know
13 this is something -- the timing is perfect. The
14 time to move forward with legislative initiatives
15 in an agency, if you are to do that is now. So we
16 are working to take that up.

17 So if there's any input from anyone, now is
18 the time, I guess.

19 VIRGINIA de LIMA: And Lori and Jack, what do you see
20 as the next steps? And what might you need from
21 the implementation workgroup or from Mike's group
22 in order to accomplish those next steps?

23 LORI MATHIEU: For us, the information that Mike has is
24 important to the effort. I would say that I would
25 love to see it move forward to the Council so

1 that -- so that we could take this up and sort
2 of -- Jack, I would leave it to you like.

3 Would we vote on this? Would we get
4 consensus on it?

5 **THE CHAIRMAN:** Yeah. I mean, I think that this is
6 again something -- as I said earlier, it should be
7 at the forefront on our agenda. I think this,
8 what we heard this morning should be digested by
9 members of the Council and we can discuss it
10 moving forward.

11 I think to Virginia's point, I mean, we don't
12 want to lose the momentum we have here going
13 because it's critical. And I think we have to
14 look towards -- I mean, people say, oh my God.
15 Another mandate -- but people, we ought to maybe
16 look towards legislating some kind of well testing
17 here.

18 Because as you know, I fool around with real
19 estate a little bit, and several times I've had
20 real estate deals blow up because after the fact
21 the wells were even contaminated, or they were
22 defective, or whatever.

23 So I think it's something we should really
24 stay on top -- just we're going to talk later
25 about the fixtures. So to answer a question,

1 Virginia, we'll continue to talk about it. I'm
2 not sure quite how the implication group fits in
3 just yet.

4 VIRGINIA de LIMA: Let me just have a follow-up comment
5 in that I know from previous discussions that
6 we've had, that those of you representing agencies
7 have said that August is the time that you really
8 have to pull together what you want to propose for
9 the upcoming legislative session.

10 And if at all possible, if we can, at today's
11 meeting, address any questions that either of any
12 of the individual councilmembers might have so
13 that you could actually approve this report's
14 recommendations today, and therefore make it
15 possible for the agencies to work, move forward on
16 actually presenting it to the Legislature.

17 LORI MATHIEU: So Virginia, I think I just mentioned
18 that our agency wants to do just that starting
19 now. And as a matter of fact, we've already
20 started that process.

21 So it would be lovely if this report could
22 come along and support that effort toward that
23 end. As a matter of fact, we're having
24 discussions to go a little bit beyond what is
25 being proposed here. So more to come on all of

1 that.

2 **THE CHAIRMAN:** To your point, we can take that up under
3 new business today.

4 **LORI MATHIEU:** Okay.

5 **VIRGINIA de LIMA:** Thank you.

6 **THE CHAIRMAN:** Okay. Finally, this afternoon we have
7 Peter Hadler -- and Carlene Taylor, my friend from
8 the Department of Social Service whom I've known
9 for years. And they've got some exciting news for
10 us during their time crunch, and they're going to
11 talk a little bit about the low-income household
12 water assistance program. And Mike Montgomery,
13 whom I've talked with the week before last; very
14 exciting what they're doing -- and who's going to
15 speak this afternoon.

16 **PETER HADLER:** Thanks Jack. This is Peter Hadler.

17 I'll be happy to get us started. Thank you, guys,
18 for inviting us to be able to come and talk to you
19 all. It's been a very interesting learning
20 experience for us at DSS to get to know more about
21 the world of water, as you know, something that we
22 haven't really had a lot of exposure to before.

23 And we're going to be looking forward to,
24 sort of, working with the community and setting up
25 this new program.

1 I just wanted to introduce Carlene Taylor, as
2 Jack mentioned. She is our long term expert on
3 LIHEAP, which is the Low Income Household Energy
4 Assistance Program that has a lot of parallels to
5 the water system that we're -- the water program
6 that we're working to set up.

7 And I'm also joined by Mike Montgomery and
8 Teresa James who have been helpful in us rapidly
9 getting this, this structure stood up for us to be
10 able to start a program in the very near future.

11 And I also, you know, just wanted to say
12 thank you to Lori Mathieu for helping to connect
13 us to everybody. She's also been a great resource
14 for us, and I believe the team has met with Graham
15 Stevens as well.

16 And so I really appreciate all the support
17 we've been getting from, you know, our state
18 partners as we try and figure out the best way to
19 operate this program within the federal
20 constraints and requirements.

21 So I'm going to share my screen -- and
22 hopefully not botch this completely -- just to
23 give a quick overview of the program and then
24 answer any questions that folks may have in tandem
25 with the team.

1 So hopefully you guys can see the screen.
2 That has got sort of the landing page for our
3 executive summary of the program. And I'm going
4 to see if I can get it to move properly seeing
5 this is not -- I'm not terribly used to this.
6 Let's see if it goes through or not.

7 All right. So this is just a quick summary
8 of the program. This is the Low Income Home Water
9 Assistance Program, which we are at least
10 temporarily referring to as LIHWAP, as opposed to
11 LIHEAP which is the energy assistance program that
12 is its parallel.

13 We have been awarded funds from the
14 Department of Health and Human Services to
15 administer the first version of this program to
16 ever exist in Connecticut. This is part of a
17 federal grant opportunity that has been offered to
18 all of the states. And it's really sort of a new
19 thing that has come out of emergency funding from
20 the pandemic as part of the continuing
21 appropriations act and the American Rescue Plan
22 Act, the funding for this program.

23 The goal is to help households with the
24 lowest incomes, ones that pay a high proportion of
25 household income for drinking water or wastewater

1 services. So we're really looking to focus on
2 three priority groups within that broad goal that
3 has been set by the feds.

4 And that includes restoration of household
5 water services for folks who have been
6 disconnected, preventing service disconnection;
7 and reduction of arrearages, which one can
8 reasonably anticipate may lead to service
9 disconnection.

10 So this is a very, you know, it is pretty
11 broad, but the basic idea is to help people be
12 able afford their bills and not lose access to
13 water services.

14 So here's a quick breakdown of the funding
15 that we have received. It's approximately \$9.7
16 million dollars in total funds. A piece of that
17 will be going towards administrative costs -- and
18 so to outreach. And the remainder of it will be
19 delivered as benefits directly to -- for
20 households through vendors.

21 We actually will be providing payments to
22 eligible drinking water and wastewater providers
23 rather than to the individuals who need to pay the
24 bills. This is a requirement of the program.

25 So we have a model plan that has to be

1 submitted to Health and Human Services in less
2 than one week. So we are under a very tight
3 framework here. And so I just wanted to give you
4 a quick overview of that, and we will have that
5 plan up and available for folks to review -- we
6 are hoping today or tomorrow. It's going to be a
7 very short window for, sort of, review and
8 comment.

9 It will be based very heavily on the Low
10 Income Household Energy Assistance Program, which
11 is known in Connecticut as CEAP, or the
12 Connecticut Energy Assistance Program. You guys,
13 you may or may not be familiar with that program.

14 The benefits of sort of modeling the things
15 after LIHEAP is that we've got an administrative
16 structure in place. We work very closely with our
17 partners in the community action agencies. You
18 know, the low-income household population is
19 familiar somewhat to some extent with that
20 application process and flow. And we are
21 anticipating that there will be a fairly large
22 amount of overlap between folks who participate in
23 LIHEAP and those who will participate in LIHWAP.

24 I just wanted to say, we are hoping to
25 make -- begin making payments in November of 2021.

1 It's a pretty aggressive timeline. There's quite
2 a lot of work to sort of set up. We're going to
3 be entering supplying vendor agreements for
4 various providers to be able to enter into to
5 facilitate a payment structure. We're setting up
6 an eligibility pathway for applicants to be able
7 to avail themselves of the benefit, request the
8 benefit so that we can evaluate their eligibility
9 and determine the level of the benefit that might
10 be issued to them.

11 So what have we done so far? We have talked
12 to a number of folks, and I think a number of the
13 folks that are on this call -- which is very
14 helpful. We've been talking to the Low Income
15 Energy Advisory Board and CAFCA who are two of our
16 partners on with LIHEAP, the Connecticut Water
17 Works Association, DPH, PURA -- and of course
18 everyone here on the Water Planning Council, where
19 we're hoping to sort of take this as the first
20 stage to being able to engage more completely with
21 a larger group of folks who are associated with
22 the Water Planning Council.

23 We've created a program webpage. I'll give
24 you that web link in a minute just to see where
25 that is. We have developed an electronic survey

1 for distribution to providers. Part of our goal
2 here is to collect information so that we are as
3 informed as possible about ensuring the program is
4 structured in a way that it's successful and that
5 we're identifying the needs of both service
6 providers and those clients who are at risk of
7 disconnection or in arrearages on their bills.

8 We've developed a communications plan and
9 again, it's sort of repetitive here, but we've met
10 with, of course, DPH and DEEP/PURA and you guys as
11 part of our plan to get information from
12 stakeholders around the State.

13 And we do hope -- and I've just sort of
14 flagged your question here at the bottom -- that
15 we will be able to leverage your new LISTSERV
16 communications platform to sort of be able to
17 share some background on this program and
18 encourage folks who may be service providers to
19 help fill out our survey.

20 So that will help us anticipate the level of
21 need that's out there, trying to get a better
22 understanding of how many people may have been
23 protected by the moratorium that's expiring for
24 drinking water services and wastewater services,
25 and to understand better the level of outstanding

1 bills and what people are facing more broadly. So
2 that's really the goal of the survey.

3 And so here's a rough level of our timeline
4 from here forward. We've got to submit our model
5 plan next week. We're going to continue planned
6 program development during this August and
7 September.

8 We're anticipating that the feds will give
9 approval in roughly 60 days. That's based on
10 prior experience with other similar programs.
11 It's entirely possible that it will be faster.
12 They may prioritize this, but that's sort of the
13 rough timeline that we're working in.

14 And once we've got approval, we'll be putting
15 down the final -- nailing down the final pieces of
16 the program development, finalizing things like
17 ensuring that all the vendors who are in various
18 geographic areas around the state are familiar
19 with the processes that they'll need to set up
20 with our partners in the community action
21 agencies.

22 And we're hoping for a November 1st --
23 ideally is when we can start payments. We'll have
24 some folks coming in the door determining their
25 eligibility and have the connections to those

1 service providers such that we could issue
2 payments on their behalf.

3 And so here's just -- here's a website that
4 we set up. It's www.CT.gov/DSS/water assistance.
5 It's got this high level-program highlights. It
6 has a link to our provider survey, and as soon as
7 our draft plan is -- has its finishing touches,
8 that's where it will be posted for review.

9 At the risk of taking me to a different
10 screen, I'll try clicking on it so you can see
11 what it looks like. Did that work?

12 You guys are seeing the -- a different
13 webpage?

14 GRAHAM STEVENS: Yes.

15 PETER HADLER: Great. So here's what our landing page
16 is like right now. Again, it's a quick overview
17 of the program, much of what I just sort of
18 relayed to you on those earlier slides.

19 The survey link is right here in the middle,
20 and if you've got questions or want additional
21 information about the federal requirements around
22 it, there is a connection -- there's a connect
23 link to the federal page. And we're going to
24 continue to fill out this, this page with the
25 draft state plan.

1 You know, any additional guidance that we'll
2 be able to provide to providers or applicants will
3 go here as well.

4 And that's really where I wanted to -- you
5 know what? I can stop there. I can also happily
6 share the information that I just showed you all
7 to circulate as you'd like for your, sort of, ease
8 of reference. And I just want to sort of stop and
9 see if anyone's got any questions?

10 I know this is sort of maybe a different take
11 on things than you guys have usually got at the
12 Water Council. We're very excited to be able to
13 work with you in bringing this to you.

14 **THE CHAIRMAN:** We appreciate you being here, Peter.

15 And you've certainly given us -- you've obtained a
16 lot of information in a very short period of time.
17 And I know that you wanted to, when we spoke, you
18 wanted to talk about disseminating your survey
19 through our LISTSERV -- so we can make sure that
20 happens.

21 But any questions from anybody in the group,
22 or any -- yes, Virginia?

23 **VIRGINIA de LIMA:** I'm wondering, Peter, how you
24 interfaced with the folks at Operation Fuel who
25 are beginning to focus on water. Brenda Watson

1 from Operation Fuel participates in the
2 implementation workgroup and has a lot of the
3 similar kinds of concerns that you're doing.

4 So I'm wondering how your -- how you
5 interface with them.

6 PETER HADLER: Yeah, I'm going to see if Carlene also
7 wants to also hop in and answer this call. I know
8 that we've talked with her in the context, in
9 Operation Fuel, in the context of, you know, our
10 heating assistance programs primarily. You know,
11 they -- they do play a critical role in helping us
12 to administer that program.

13 As far as the structure of this program, I
14 anticipate that we're really looking at, sort of,
15 almost a simpler process than we have for energy
16 assistance in the way that we'll be issuing
17 benefits. So of course, there are many more
18 vendors and partners throughout the state than we
19 would have for energy assistance.

20 So there's some, some parallels and, you
21 know, I think that we've been in touch -- but also
22 let Carlene hop in and see if she's got anything
23 to add?

24 CARLENE TAYLOR: Sure. First of all, thank you very
25 much for having us participate in your meeting.

1 Yes, Operation Fuel is actually one of the
2 members of the low income energy advisory board,
3 and I think Brenda is the chairperson right now.

4 And we are aware that she has been able to
5 work with the proper water companies to provide
6 services. The guidance we received from HHS is
7 basically to work with the same contractors that
8 we do work with for our LIHEAP program, the
9 Connecticut Energy Assistance Program, which is a
10 community action agency network, and those will be
11 your contractors to provide services.

12 They serve households statewide through also
13 a network of intake sites and they process and
14 take applications. HHS has indicated that
15 households eligible for LIHEAP will be
16 categorically eligible for LIHWAP. So our goal is
17 to use that same application process to determine
18 eligibility for those households that have water
19 and wastewater.

20 VIRGINIA de LIMA: Thank you.

21 THE CHAIRMAN: Denise?

22 DENISE SAVAGEAU: Thank you for giving us the
23 explanation of the program. I think it's great
24 work.

25 The question I have relates back to what we

1 were just talking about previously with the other
2 presenters, and that has to do with well water.
3 And obviously, there's no utility bill normally
4 with well water, but for low-income households to
5 be able to do the testing and address this, are
6 you looking at a program that way?

7 And similarly for on-site septic, we have
8 low-income households. You know, a lot of times
9 we think about low income in terms of in the city
10 areas where they're on public water supply, where
11 they're on public sewer, but we also have a
12 portion of our state where we have low-income
13 folks serviced by, you know, wells and septic and
14 they don't have access.

15 So I don't know if this particular program
16 addresses that, but I'm wondering how you're
17 looking at it. And I do know that there's other
18 COVID relief funds and other funds coming down
19 that possibly could address this. So just
20 wondering if that has been part of the discussion
21 on where you want to take this.

22 **PETER HADLER:** Thank you, Denise. That's a great
23 question. You know, unfortunately, the way this
24 program is structured is that it's going to be,
25 you know, folks have to have a provider that has

1 the benefit to be paid to. So, you know, folks,
2 who've got those private wells and private septic
3 systems are not eligible for this particular
4 benefit.

5 We have not independently sort of, you know,
6 looked at possible ways to support that
7 population. You know again, this is sort of a new
8 avenue for us, but not to say that that's not
9 something that wouldn't merit attention going
10 forward. And we'd be very interested in, you
11 know, understanding what possibilities that are
12 out there for supporting that community and agree
13 that this program is not going to reach
14 everybody -- fully recognizing that.

15 DENISE SAVAGEAU: Yeah. I'm just going to quickly add
16 that I know some of our partner states, including
17 New York, is helping folks with on-site septic and
18 whatever. And so I think that it's something that
19 we should really take a look at, and I'll provide
20 some information to folks that will pass that
21 along to you.

22 Thank you.

23 PETER HADLER: That would be great. Thanks.

24 THE CHAIRMAN: Okay. Denise, any further questions,
25 comments, observations?

1 LORI MATHIEU: Jack, I'm wondering if --

2 THE CHAIRMAN: Go ahead.

3 LORI MATHIEU: Just to follow up on what Peter just
4 said and what Denise brought forward, over the
5 years for private wells we've had people who have
6 lost their well for whatever reason; the pump
7 motor just goes and they have no water, they're
8 low income and they have nowhere to turn.

9 There's literally no state program to help
10 somebody who has a private well that has gone bad;
11 maybe drill a new well or get connected to a water
12 main you know costs thousands of dollars. And so
13 that is something that we have thought about, and
14 I'd love to work more on this with the Council,
15 and Peter and Carlene with DSS.

16 I think it's an important item for private
17 well owners and septic, because repairs can be
18 very expensive, very, very expensive, and not
19 affordable for low-income people.

20 THE CHAIRMAN: Well, I think Denise and Lori, you make
21 a good point. I know our Operation Fuel, to their
22 credit, when you think about them you think about
23 just help. They assistant in subsidizing oil and
24 gas bills, but they do help people at times buy
25 new furnaces. I mean, I've worked with them

1 personally with that. So I mean, it's something
2 that we ought to -- and again, this is a new
3 program, as to Peter's statement.

4 I think it's something very important we
5 should look at.

6 DENISE SAVAGEAU: And I think -- yeah, I was going to
7 say, and I think Brenda with Operation Fuel is
8 looking at that.

9 THE CHAIRMAN: Yeah.

10 CARLENE TAYLOR: And if I might add just quickly?

11 Because my job is working with private well users
12 every day, I get a lot of phonecalls and a lot of
13 them unfortunately are folks that are looking for
14 funds. So it's a very interesting conversation
15 that we're having right now, and I'm glad I'm here
16 to hear parts of it.

17 I do want to mention that the only options
18 that homeowners have right now that I can actually
19 refer them to is through the USDA rural
20 development funding program. They have a home
21 repair loan that does cover some portions, or can
22 cover some portions of private well water, things
23 like resolving issues associated with loss of
24 water or pump issues, things like that.

25 That doesn't cover private well testing, but

1 it can help homeowners get their well working
2 again, or installing a new well should they need
3 that.

4 But yeah, I just wanted to mention that this
5 is a great conversation.

6 DENISE SAVAGEAU: Yeah, I just want to add --

7 MIKE DIETZ: And I'll add in -- sorry, Denise. I was
8 just going to say, I appreciate you bringing this
9 up. And it's something that's been a big concern
10 to me as well.

11 I tried to -- I had a new program last year
12 through IWR, and subsidized well testing for folks
13 in the state. And it -- I had way more requests
14 than I had funding available to do the work. So
15 I'm very interested in talking with anybody who
16 wants to do more with us.

17 DENISE SAVAGEAU: And I did want to bring up the septic
18 issue, you know, as the counterbalance to that.
19 We have the well issue and we think about that as
20 water supply, but we're talking about the state
21 water plan and we're talking about the algal
22 blooms were having, and we know that we've got
23 failing septic systems across the state that are
24 contributing to those algal blooms in our rural
25 watersheds.

1 It's also -- so it's a water quality issue.
2 We think about that, that waste not being water --
3 but it's a major water quality issue for our
4 public drinking water supply watersheds, where we
5 have those watersheds that have failing, you know,
6 failing septic systems in them.

7 So it goes, you know. It's something we
8 really need to look at across the board. Both of
9 these are our problems in our rural communities.

10 **THE CHAIRMAN:** Okay. Thank you all very much.

11 Anything further?

12
13 (No response.)

14
15 **THE CHAIRMAN:** Okay. So Peter, we'll work with you to
16 get access to the list that you need.

17 **PETER HADLER:** Wonderful. That would be great. You
18 know, we'll reach out to you very quickly given
19 our timeline.

20 **THE CHAIRMAN:** I know. I know you have a time crunch
21 here. So I know with the time crunch I really
22 appreciate all of you being with us here this
23 afternoon, and a very exciting program.

24 **PETER HADLER:** Certainly. And I just wanted to, you
25 know, mention if you guys do have access to other

1 programs that are sort of maybe closely related
2 like the program that you just mentioned about
3 potentially being able to support households with
4 getting funds for other types of assistance, we
5 can, you know, we can add that to our website.

6 So you know, we can say this doesn't
7 necessarily cover everything, but here's other
8 possible resources. And we can also share that
9 with our partners in the community action agencies
10 as they'll inevitably have some people coming in
11 looking for support that don't quite meet the
12 requirements of this program.

13 **THE CHAIRMAN:** Great. Terrific. Thank you very much.
14 We'll be contact. Bye, Carlene and Mike. Thank
15 you so much.

16 Okay. Moving right along here. Next we'll
17 have a report on the implementation workgroup
18 update.

19 Virginia?

20 **VIRGINIA de LIMA:** Okay. Thank you. Thank you, Jack.

21 As Lori mentioned earlier, the Water Planning
22 Council identified private wells and conservation
23 as the two top priorities for implementation,
24 implementing recommendations from the state water
25 plan.

1 I want to remind people that the work that
2 Mike talked about today, adding arsenic and
3 uranium to the testing for private wells was
4 actually the second of the two domestic well
5 workgroups that we have been looking at. The
6 first one you may recall was looking at the
7 location, identifying where the various wells
8 were, developing a database, and then it became
9 apparent that Consumer Protection was already
10 developing that database.

11 It wasn't on the agenda for today, but I
12 would like at some point -- if not today, off the
13 top of somebody's head, or perhaps at the next
14 water Planning Council meeting -- that we get an
15 update on where that database is, if it's moving
16 along, and what the timeline might be that it
17 would be available to really be including valuable
18 information.

19 So that, those two workgroups covered a lot
20 of the issues of the groundwater wells. The other
21 one was conservation, which is obviously a huge
22 topic. And we decided to look at the drought plan
23 and how the State goes about declaring droughts,
24 and making recommendations to the public and to
25 the various agencies of what needed to be done.

1 So also you folks received in the last couple
2 of weeks the report that came out of our drought
3 plan topical workgroup that was a very in-depth
4 study of what happened during the last drought in
5 Southwestern Connecticut, and made some very
6 specific recommendations.

7 That was sent to you along with a summary of
8 just the recommendations. The report itself went
9 into great detail in terms of the thought process
10 of the participants in that group.

11 And so I'm wondering at this point if you
12 have any questions that you would like to pose.
13 David and I can try and answer them. Steve
14 Groupar who took the lead on that is not with us
15 today, I don't believe -- but if there's anything
16 that we can either address or pass along to Steve
17 and his group to address from that report?

18
19 (No response.)

20
21 **GRAHAM STEVENS:** I just wanted to say, I'm really
22 impressed with the work product, particularly
23 pleased with the detailed recommendations. It's
24 always good to see in front of you the task that
25 we can make progress on, on completing to improve

1 our response.

2 And just to one of the specific comments in
3 there about our gauging stations and wells that we
4 use, particularly those that don't require someone
5 going out on a regular basis to manually determine
6 the depth of water; something that DEEP is very
7 interested in, very interested in working with our
8 partner USGS to see if there's ways that we can
9 partner to expand that network.

10 Obviously, we have a lot of reasons that we
11 utilize those, those networks, but certainly for
12 drought planning purposes we would want to make
13 sure that if there was the ability to expand that
14 network -- which I will say has been a
15 multigenerational effort with limited success, or
16 any success really to speak of given to -- not due
17 to USGS or DEEP's efforts, but just really due to
18 funding.

19 You know we would certainly want to take into
20 consideration of the needs for drought and drought
21 monitoring. So that's -- I'm really excited to
22 see that in there.

23 VIRGINIA de LIMA: Just picking up on Graham's comment
24 and putting on my former USGS hat, I think we, as
25 people discuss looking at the groundwater well

1 network, It's not just expanding the network, but
2 it's also hardening the network, if you will.

3 There are a lot of the wells, and some of the
4 ones with the longest period of record, that are
5 old hand-dug wells on private property. And so
6 every single one of those is at risk for somebody
7 saying, I no longer want the liability of having
8 this well on my on my property, because there
9 they're three feet in diameter and have some kind
10 of cover on them that a kid could easily remove --
11 and fill them in, or decide that they no longer
12 wanted to allow the USGS to access those wells for
13 the monthly measurements that are currently being
14 done.

15 And so in those cases we would look to, we
16 the USGS, and presumably with the interest of you
17 folks, would look to either putting a new well
18 somewhere close by in the same formation, or even
19 just putting a well down the middle of the dug
20 well so that you would have two inches of well
21 rather than three feet of well so that you would
22 eliminate those potential risks. So there's that
23 component of it as well as expanding it.

24 THE CHAIRMAN: I'd like to --

25 GRAHAM STEVENS: Yeah, and those -- oh, I'm sorry,

1 Jack.

2 THE CHAIRMAN: Graham, I'd like to introduce the motion
3 that we accept this drought report and refer it to
4 the interagency drought workgroup for further
5 consideration, review, recommendations.

6 I think that we owe it to the group to accept
7 it formally today and then to refer it. We have a
8 standing group on drought that meets that Martin
9 chairs on a regular basis. So I think it would be
10 appropriate for us to have motion to accept this
11 report -- and so we're not letting it just collect
12 dust here.

13 LORI MATHIEU: So moved, Jack, so moved.

14 THE CHAIRMAN: Do I hear a second?

15 GRAHAM STEVENS: Second.

16 THE CHAIRMAN: Motion made and seconded that we accept
17 the work of the report of the workgroup on
18 drought, and that we refer it to the interagency
19 workgroup for further review and considerations
20 and recommendations that they make.

21 There the interagency workgroup, as you know,
22 is in the process of reviewing their mission
23 including membership and their goals and
24 objectives. So I think the timing of this report
25 is perfect to tie it into what Martin and his

1 group are doing.

2 Any questions, comments?

3
4 (No response.)

5
6 THE CHAIRMAN: All those in favor signify by saying
7 aye.

8 THE COUNCIL: Aye.

9 THE CHAIRMAN: The motion is approved.

10 Congratulations, Virginia.

11 VIRGINIA de LIMA: Thank you very much for approving
12 that, and thank you to Steve Groupar and his group
13 for all the work that went into it.

14 Then just very briefly -- those are our two
15 main topics, but you may recall we also have a
16 topical workgroup looking at outreach and
17 education. And they have decided to focus
18 primarily on the education piece of it and to
19 develop those, those materials.

20 And then later if their outreach is needed in
21 the future, they would be working closely with the
22 agencies and with the Water Planning Council in
23 terms of how to address that.

24 There we also have a group on implementation
25 tracking, and there are some questions that have

1 come up. They're at the very preliminary stage of
2 there of there deliberations, but some of the
3 things that they're going to be looking at is,
4 what is the purpose of the tracking? What would
5 be the end result? Who would be responsible for
6 doing it? Who would the audience be?

7 And also because a lot of the work is being
8 done by individual agencies as opposed to by the
9 Water Planning Council as a whole, how would it be
10 that they could capture all the work that was
11 being done in the agencies that are working on
12 water issues?

13 We talked about possibly using a future
14 implementation workgroup meeting as a
15 brainstorming session to address some of these
16 concerns. If we were to do that, we would
17 obviously advertise it so that the people who
18 might not normally be attending the IWG meetings
19 could participate in that brainstorming session.

20 What the group realized in their discussions
21 is that this was a multiarmed octopus that they
22 had to get their hands around so that whatever
23 they came up with was an efficient way and a
24 meaningful way of tracking the work that was being
25 done.

1 Also what came up in their discussions -- and
2 this is something that perhaps Alecia, you're
3 going to be talking about, was whether we should
4 have a staff person who was devoted to the
5 implementation of the state water plan and could
6 thereby oversee any process of tracking the
7 progress of that plan.

8 So that's basically what we -- oh, the one
9 other comment that came up, and this is something,
10 Martin, you might be able to address either today
11 or in a future meeting, is as the State comes back
12 to some form of in-person office work and
13 meetings, and if we were to have hybrid meetings
14 for any of these groups, what are the Freedom of
15 Information Act requirements for those hybrid
16 meetings?

17 I think there are a lot of questions there
18 that we all need to be aware of as we move through
19 the next several months.

20 **MARTIN HEFT:** Yeah. Some of that I can forward you --
21 the information that's in the implementer bill has
22 provisions for that that FOI has done, and those
23 are the provisions that are in place right now, at
24 least temporarily, I believe, for the next year
25 and a half while the Advisory Commission on

1 Intergovernmental Relations reviews all of that
2 and makes a recommendation back.

3 So there are provisions that allow for hybrid
4 meetings, but you have to follow those provisions
5 that are in the legislation that was just passed.

6 VIRGINIA de LIMA: Yeah, that would be very helpful.

7 Thank you.

8 MARTIN HEFT: That was done in reference with the FOI
9 commission.

10 VIRGINIA de LIMA: Yeah, thank you.

11 MIKE DIETZ: Virginia, in regards to your question
12 about the private well database. So Jay Cohen is
13 the person at DCP who is working on that, and he's
14 also participated in our water quality workgroup
15 as well.

16 He told us recently that they are currently
17 getting entries into the database. So it's
18 functional and being used.

19 VIRGINIA de LIMA: Excellent.

20 MIKE DIETZ: But our -- and if you remember this from
21 the report, the biggest issue is the entire suite
22 of paper logs that are still sitting around that
23 are not entered into that database yet. So in
24 order to make it functional, we need to address
25 that issue of getting the old records entered into

1 the database.

2 VIRGINIA de LIMA: Do you know if there's a mandate
3 that new wells be entered in?

4 MIKE DIETZ: Yes, that all new wells need to go in
5 through that electronic portal.

6 VIRGINIA de LIMA: Excellent. Thank you.

7 RYAN TETREAULT: I can clarify on that. I know for --
8 it's voluntary right now for all new wells to be
9 sent in by well drillers. And once DCP has their
10 new regulations in place -- they're currently
11 making revisions to the regulations. The new reg
12 set does require electronics to metal.

13 VIRGINIA de LIMA: Excellent. Do you have any guesses
14 as the timeframe of that? Are we talking weeks?
15 Months? Years?

16 RYAN TETREAULT: I don't know that. I would refer that
17 to DCP for an answer.

18 VIRGINIA de LIMA: Okay. Thank you.

19 THE CHAIRMAN: Okay. Graham, I cut you off before? Do
20 you have any --

21 GRAHAM STEVENS: No, Jack. When you speak it's never
22 getting cut off. Never.

23 No, I think I can reserve those comments for
24 another meeting -- but I just was getting overly
25 excited about groundwater wells.

1 But I think real quick to Virginia's point,
2 some of those deficiencies or risks are probably
3 more easily dealt with because that's more of an
4 infrastructure as opposed to an operational need.

5 THE CHAIRMAN: Virginia, all set? Thank you, so much
6 for your work.

7 And we'll move on to Alecia.

8 ALICEA CHARAMUT: Hi, everybody. So at the last water
9 planning advisory group update we did have a
10 discussion about sort of thinking that it was
11 initiated as a -- how to determine which group
12 does what when a subject comes up, but it morphed
13 into a conversation on, you know, the
14 responsibility of volunteers in the various
15 groups.

16 And it sort of came to an apex of the need
17 for what the state water plan called a water chief
18 to help support the Water Planning Council to
19 carry out its directives coming from the Water
20 Planning Council; to move forward on
21 recommendations and reports that have been
22 approved by the Water Planning Council.

23 And there's a reminder in the sections to the
24 implementation of the state water plan under next
25 steps, (unintelligible) and goals. And one of

1 those, this -- the second one on the list is, hire
2 water plan chief to oversee all aspects of plan
3 implementation, serve as a liaison between the
4 Water Planning Council and the Legislature, and
5 help ensure consistent interpretation of its
6 information and recommendations.

7 And I've always envisioned this role as
8 someone who's the project manager, a dedicated
9 project manager for the Water Planning Council,
10 someone that can look for and apply for funding,
11 or find resources maybe through internships
12 through some of our really fantastic academic
13 institutions here in Connecticut, to try to work
14 on some of these issues and really move them
15 forward, and find these other resources outside of
16 the groups that are already working to capacity to
17 get some of this implementation done and work on
18 other issues.

19 So I'm just throwing that out there that, you
20 know, this was again part of the conversation and
21 I think it would be great if the Water Planning
22 Council as a whole can just sort of make this a
23 priority conversation to find some sort of
24 resolution as to whether this is something from
25 the water plan that we would like to see

1 implemented, and how it can be done.

2 And of course, you know, this is something
3 that's probably going to take a few months to --
4 or you know, several months to kind of really
5 think through, but I think it will really help.
6 It will help support the groups that are working
7 on a lot of these issues, for sure.

8 And not that, you know, the Water Planning
9 Council, I know you guys are so appreciative of
10 all the work that the volunteers do, but it's -- I
11 think things will move along a little bit faster
12 if we have been dedicated to making sure a lot of
13 these details, all -- you know, the i's are
14 dotted, the t's are crossed.

15 There's that hub. All of the agency support
16 staff who needs to have, you know, certain things
17 posted or to make sure that we have these reports
18 all in a centralized place. And you know, the
19 folks at OPM, Bruce and Eric, they're fantastic
20 about that, but I think it would take something
21 off their plates as well if they just had that
22 person they can send it to, to make sure that all
23 of the information for the folks working on
24 this -- but the public has access to it, too.

25 So there are a lot of things here, a lot of

1 things that can be done to help support the Water
2 Planning Council and the groups, and to really
3 kind of move forward at a steady pace and continue
4 to do so.

5 So that, that kind of is the -- like I said,
6 it was the culmination of a conversation we've had
7 often in various groups on, you know, how we're
8 spreading the work around and the capacity of all
9 the groups to do the good work that needs to get
10 done.

11 I don't know if you guys want me to pause
12 here for a minute before I get move to --

13 THE CHAIRMAN: I don't think that -- that's not an
14 unreasonable request. And if you remember -- I'm
15 sitting here talking. I think I've been involved
16 with this Water Planning Council for 20 years.

17 20 years.

18 I remember midway through we did have a point
19 in time where we had DEEP -- when actually is was
20 DEP, DPUC and Health. At one point we did fund a
21 position.

22 Alecia, I think your thought is a good one.
23 It's just a matter of how we do it. I mean, I
24 could easily put an assessment on all the private
25 investor owned water companies if the Legislature

1 gave me approval to do that. I could put it -- as
2 we can put out an assessment, and Josh will just
3 come. We can put an assessment on the municipal
4 companies as well.

5 I mean, there's ways to fund it. You're not
6 talking -- when you're talking about maybe the
7 need may be \$200,000, you get a person with
8 benefits, that's not a lot of money to spread
9 around.

10 So I don't think it's unrealistic request.
11 It's part of the water plan. I think it's
12 something we on the Council can discuss further.

13 GRAHAM STEVENS: Yeah. And Jack, if you'd allow me? I
14 just want to say, I certainly am intrigued by the
15 idea. I think someone who's dedicated to
16 implementing the state water plan as well as
17 carrying out the directives of the Water Planning
18 Council would certainly be helpful.

19 And I particularly like the concept of
20 providing that instantaneous, or more
21 instantaneous response and assistance to our
22 invaluable volunteers that really have carried us
23 through, in my tenure at least in my
24 observation -- I'm sure far before.

25 So something certainly that would be

1 interesting for us to continue to discuss.
2 Obviously, when you're talking about setting up
3 new positions and funding, that that does create
4 some barriers, but certainly I think we have a lot
5 of experienced folks on the Water Planning
6 Council, and that's something that would be a
7 tremendous benefit to implementation of the state
8 water plan.

9 And thanks for sharing, for bringing forward
10 that message, Alecia.

11 LORI MATHIEU: And certainly, when we put the state
12 water plan together there's no doubt we foresaw
13 the need for somebody sooner rather than later to
14 serve as this water chief for implementation.

15 As there is, as I think Virginia mentioned,
16 with tracking and implementation there is a lot of
17 work going on; and the idea of tracking was so
18 that we could track what was happening that was
19 related to the action items within the plan,
20 because we knew this would happen if we didn't
21 have somebody dedicated a hundred percent that was
22 a state person to do this work.

23 Because we do -- Jack, for your whole time
24 and my time since I've been on this group and part
25 of this group, it's been based on volunteers and

1 voluntary work. So we've been very lucky that we
2 have the people that we have that are very
3 dedicated that volunteer their time.

4 So I'm willing to work on this.

5 THE CHAIRMAN: And I don't think -- I mean, when you
6 think about it, the State invested a million
7 dollars in this water plan. So I mean, the fact
8 that we want to come up with some money, maybe
9 Martin will get over at OPM some pocket change --
10 for us over at OPM that he can get for us to get
11 this funded when they have their budget talks, or
12 something.

13 But I don't think it's an unrealistic
14 request. I think we can make a darn good case for
15 it, and I think the Council needs to talk more
16 about this, Alecia.

17 So we agree. I agree.

18 LORI MATHIEU: And, Jack, I apologize. I have a three
19 o'clock.

20 THE CHAIRMAN: I know you have to drop off. I know the
21 meeting has gone -- we had a lot of good
22 presentations today. So I know the meeting went
23 longer than usual. So thank you, Lori.

24 Alecia, anything further?

25 ALICEA CHARAMUT: First of all, thank you for taking

1 that under consideration. Just one other thing is
2 we were -- and I'm not sure what the report was
3 from the last Water Planning Council meeting, but
4 we've decided to keep the hydrilla item on the
5 agenda, the hydrilla in the Connecticut river and
6 the need for funding.

7 So we're keeping that on the water planning
8 advisory group agenda to stay, just stay abreast
9 of what's going on with trying to find funding
10 there.

11 So there continues to be some work within the
12 watershed lands group on various items, but -- oh,
13 I see Karen is here. I didn't see Karen earlier.

14 Karen, do you have anything before we move
15 along?

16 **KAREN BURNASKA:** No, just to say that, yes, we, the
17 watershed lands group will continue to pursue
18 discussions on the importance of protecting source
19 water land, on protection land in regards to
20 legislation when we're looking at the legislative
21 conveyance of land.

22 Margaret Miner and I did meet with -- we had
23 a zoom meeting with the clerk of the GAE
24 Committee, and we have subsequent to that sent a
25 request to the Chairs of GAE, Senator Flexor and

1 Representative Fox, and asked for a meeting with
2 them to continue discussions.

3 We haven't heard back, but we'll keep you
4 posted when we hear something.

5 ALICEA CHARAMUT: And I know we're tight on time for
6 the rest of it, so I'll leave it at that for the
7 rest of the meeting.

8 THE CHAIRMAN: Thank you, Alecia. So Lori left. There
9 was a private well update. I think we had a lot
10 of that.

11 Water conservation and fixtures I'm going to
12 turn over to Graham, because -- and I see we have
13 Mary Ann Dickinson on the call as Well.

14 Graham and I have been talking about, as
15 somebody said earlier, now is the time for us to
16 get legislation together; and for our September
17 meeting to get some of the stakeholders into it,
18 invite the stakeholders to that meeting to talk
19 about this.

20 And Graham has already drafted a great letter
21 for people to be invited to attend this meeting as
22 well.

23 So Graham, would you like to talk about that
24 and Mary Ann can kick in as well?

25 GRAHAM STEVENS: Yeah, and thank you, Jack. And I

1 think that we've done some great work trying to
2 line ourselves up for the next legislative
3 session.

4 Changing the water fixture standards,
5 obviously as we know, Department of Consumer
6 Protection implements that statutory program, and
7 we were looking at sending out a broad invite to a
8 lot of different stakeholders, legislative
9 leaders, the cochairs of Public Health, the
10 cochairs of Environment.

11 And Mary Ann, I'm glad you're here, because
12 we certainly would love to see if you could
13 provide a brief overview at the beginning of that
14 discussion for folks on where we are and then
15 where we started, what we've been discussing and
16 what we're proposing. And then also to our
17 ongoing conversations ensuring that we invite all
18 the right folks who have a vested interest.

19 So there is a real property section of the
20 Connecticut Bar Association. We would suggest
21 inviting the chair, inviting the environment lead
22 for the Connecticut Business and Industry
23 Association, inviting the executive directors of
24 our council of government, the Home Builders
25 Association of Connecticut.

1 There's also real estate, CT Realtors, a
2 lobbyist Jim Heckman, who many of you may know as
3 well as a few other interesting folks. The
4 Association of Plumbing, Heating and Cooling
5 contractors. And then in speaking with Lori at
6 DPH about the Connecticut Well Water Association,
7 certain municipal officials who have interest as
8 well as the local departments of health, as well
9 as the water companies.

10 So really trying to get a large coalition of
11 folks who are at least invited with some
12 information about what we're talking about so that
13 we could have a preliminary opportunity for folks
14 to provide their thoughts and opinions on this
15 issue which I believe is universally supported by
16 the Water Planning Council, which would be a
17 legislative initiative that would be brought
18 forward by DCP.

19 And we've also invited the Department of
20 Consumer Protection, the Department of
21 Administrative Services, at DAS; that the Office
22 of the State Building Inspector who has some
23 interest in this as well.

24 So that's what our plan is for our September
25 meeting for an agenda item there to bring forward

1 again this legislative concept.

2 **THE CHAIRMAN:** Mary Ann, do you want to --

3 **MARY ANN DICKINSON:** Yeah, if I could add a little bit?

4 **THE CHAIRMAN:** Of course, yes.

5 **MARY ANN DICKINSON:** Okay. So you know, I admire
6 Graham's list of all those stakeholders he wants
7 to put together, but you all need to know that
8 many of those won't be necessarily supportive in a
9 coalition.

10 In the states where this has been adopted,
11 plumbing, heating, cooling contractors, the
12 realtors, especially, you know, a lot of them have
13 been opposing this legislation -- but you need to
14 also know that in New England it's only
15 Connecticut and New Hampshire now that don't have
16 these standards.

17 In 2021 Massachusetts and Rhode Island both
18 adopted it. So we have New York, Massachusetts,
19 Rhode island, Maine and Vermont that all have
20 adopted statutes like this. And in those states
21 there has been opposition expressed, which of
22 course has been part of the legislative process.

23 But I just want to make sure -- and I'm happy
24 to help and participate in whatever way you think
25 reasonable -- I just want to make sure you don't

1 have the expectation that all of those people will
2 uniformly accept it. That's just part of the
3 sausage making in legislation, but I admire you're
4 willing to do the work in advance -- yeah.

5 GRAHAM STEVENS: No -- and I think sometimes it's most
6 important to engage with those who have differing
7 opinions early on so that they have an opportunity
8 to express that in a public forum.

9 Not to take anything away from the public
10 transparency provided by our legislative partners,
11 but I think it's good to at least invite. I'm not
12 sure they would even -- not all of them will
13 participate. Some of them may just listen in if
14 they do attend.

15 But really, I think one of the things that
16 I've seen derail legislative agendas or
17 initiatives is when folks don't engage, whether
18 they are aware or unaware, until the very end and
19 raised concerns at that point.

20 So I just don't want to see that great work
21 to be derailed by that.

22 MARY ANN DICKINSON: What we have seen work is where
23 the governor gets involved. So in Massachusetts,
24 Rhode island and Maine, the governor was very
25 involved in, you know, it became part of the

1 climate change goals and resiliency strategies.

2 So this may be something to also tie into
3 that effort that's going on in Connecticut.

4 GRAHAM STEVENS: And absolutely. And just to remind
5 folks there were plumbing fixture standards in the
6 Governor's -- one of the Governor's climate bills
7 last session that didn't make it through.

8 I don't think the Water Planning Council and
9 DCP thought that that was crafted exactly
10 appropriately. They're talking about water
11 closets in that bill -- but keep my water in the
12 sink.

13 But I think the Governor has already
14 indicated his support of this type of initiative.

15 THE CHAIRMAN: Okay. Very good. So we'll plan on
16 doing this.

17 And you're right, Mary Ann. I mean, it's
18 like we all know from the legislative process
19 you're going to have those that want it and those
20 that don't, but ultimately we're going to make the
21 recommendation as a Council, and we'll take it
22 from there.

23 MARY ANN DICKINSON: I'm happy to help with whatever
24 you need.

25 THE CHAIRMAN: We appreciate that very much that you're

1 going to help us, and I'm optimistic we can get
2 this passed next year.

3 Okay. Let's move on to the interagency
4 drought working group update.

5 Chairman Heft?

6 MARTIN HEFT: Good afternoon, all.

7 So our meeting scheduled for Thursday is
8 actually canceled this week because OPM, we
9 reviewed all of the current conditions, determined
10 that there is no need to meet.

11 Now that we have this workgroup report, we
12 can move forward with our next steps, one of the
13 things we are waiting for. So our next meeting is
14 scheduled for September 2nd, which we will begin
15 reviewing all the recommendations and findings,
16 and we'll be in communication with the members of
17 the interagency drought workgroup, you know,
18 sending them the report with a directive from me
19 to -- for them to start reviewing that and be
20 ready to start discussion in our September
21 meeting.

22 THE CHAIRMAN: Great. That's exciting. A lot of
23 progress in that area, and we appreciate you and
24 your leadership and the group's work on this.

25 Any questions for Martin?

1 (No response.)

2
3 THE CHAIRMAN: If not, any new business?

4 GRAHAM STEVENS: Jack, on new business did we want to
5 act upon -- I'm sorry. The report that's in front
6 of us --

7 THE CHAIRMAN: Yes, we did. Yes, Graham, we did. We
8 wanted to act on the reports that were given to us
9 earlier by DPH and USGS. We wanted to except
10 those reports and also Mike Dietz's reports on the
11 domestic well quality testing.

12 So why don't we have two separate motions?

13 I would entertain a motion that we accept the
14 report of DPH along with USGS on private wells,
15 the arsenic and uranium study.

16 GRAHAM STEVENS: So moved.

17 THE CHAIRMAN: Martin?

18 GRAHAM STEVENS: Second it.

19 THE CHAIRMAN: Motion made and seconded that the
20 reports that were given to us earlier be approved.

21 Any questions or comments?

22 MARTIN HEFT: So just as a clarification, by accepting
23 the reports what are we actually doing by
24 accepting the reports? I mean, we had reports
25 that presented to us. I don't want it to be that

1 we're accepting the legislative changes or
2 anything -- that that's what this motion means,
3 because I'm not ready to be able to commit to it.

4 THE CHAIRMAN: No, no.

5 MARTIN HEFT: So I want to make sure that's clarified
6 in, and our interpretation is of accepting these
7 reports.

8 THE CHAIRMAN: Well, very much like the report we
9 did -- and thank you for that clarification --
10 that we did with you with the drought. I mean,
11 that's going to go over to you.

12 So we're accepting this, but it's not like --
13 we're accepting the report as a formality that we
14 want to acknowledge the work that went into it,
15 but we're not accepting all the recommendations in
16 there.

17 MARTIN HEFT: Perfect. Thank you. I just wanted it
18 clarified that for the record.

19 THE CHAIRMAN: Graham, are we set to vote?

20 All those in favor?

21 GRAHAM STEVENS: I'm set to vote, yes.

22 THE COUNCIL: Aye.

23 THE CHAIRMAN: Okay. And the same with the report on
24 the domestic well water quality testing program.
25 I entertain a motion to accept that report.

1 MARTIN HEFT: So moved.

2 GRAHAM STEVENS: Second.

3 THE CHAIRMAN: It's the same caveat. We're accepting
4 the report and going to look further into the
5 recommendations.

6 Any questions?

7
8 (No response.)

9
10 THE CHAIRMAN: If not, all those in favor signify by
11 saying, aye.

12 THE COUNCIL: Aye.

13 THE CHAIRMAN: The report is accepted.

14 A VOICE: Thank you for that.

15 THE CHAIRMAN: You're very welcome. Any other new
16 business before we move onto public comment?

17
18 (No response.)

19
20 THE CHAIRMAN: Any public comments this afternoon?

21
22 (No response.)

23
24 THE CHAIRMAN: If not, our next meeting will be held
25 September 7th, the day after Labor Day.

1 MARTIN HEFT: And just on that? Jack, on the agenda,
2 it says, September 2nd. So just clarifying that
3 it's the 7th.

4 THE CHAIRMAN: It's the 7th, yes. Ally Ayotte, make a
5 note of that, Ally. Yes, it's the 7th.

6 Entertain a motion to adjourn?

7 MARTIN HEFT: So moved.

8 THE CHAIRMAN: Second?

9 MS. AYOTTE: I did. I was like, psyched. For sure.

10 THE CHAIRMAN: All those in favor?

11 THE COUNCIL: Aye.

12 THE CHAIRMAN: The meeting is adjourned.


13 Thank you all very much. Very productive.
14 Very good information; a very good meeting. Be
15 safe, everyone.

16 The meeting is adjourned.

17
18 (End: 3:11 p.m.)
19
20
21
22
23
24
25

CERTIFICATE

I hereby certify that the foregoing 87 pages are a complete and accurate computer-aided transcription of my original verbatim notes taken of the Regular Meeting of the WATER PLANNING COUNCIL, which was held before JOHN W. BETKOSKI, III, CHAIRMAN, and PURA VICE-CHAIRMAN, via teleconference, on August 3, 2021.



Robert G. Dixon, CVR-M 857
Notary Public
BCT Reporting Service
55 Whiting Street, Suite 1A
Plainville, CT 06062

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 INDEX

2 VOTES TAKEN
3 (Unanimous Approval)

4 Description	Page
5 7/6/'21 Transcript Approval	3
6 Acceptance of Workgroup report & move to 7 Interagency Workgroup for Recommendations	64
8 Acceptance DPH Report, Recommendations	85
9 Acceptance USGS Report, Recommendations	86
10 Adjournment	87

11 TOPICS OF DISCUSSION

12 DESCRIPTION	PAGE(s)
13 R. Tetreault, T. Shea & J. Ayotte: 14 Private wells USGS arsenic/uranium study	4-28
15 M. Dietz: Domestic well water quality testing	28-37
16 V. de Lima: August recommendation approvals	38-39
17 P. Hadler: LIHWAP, low-income water C. Taylor: LIHWAP & LIHEAP	40-50 50-51
18 Discussion: Low-income well assistance	51-56
19 Discussion: Low-income septic assistance	56-57
20 V. de Lima: Workgroup update, survey wells FOI Hybrid meeting requirements	58-62 66-67
21 Discussion: Private well database	67-69
22 A. Charamut: Update, water chief 23 Hydrilla	69-75 76
24 Discussion: Water conservation, fixtures	77-83