

**In The Matter Of:**

*DWW Solar II, LLC petition for a declaratory ruling  
that no Certificate of Environmental Compatibility*

---

*Hearing  
September 12, 2017*

---

*BCT Reporting LLC  
PO Box 1774  
Bristol, CT 06010  
860.302.1876*

STATE OF CONNECTICUT  
CONNECTICUT SITING COUNCIL

Petition No. 1313

5 DWW Solar II, LLC petition for a declaratory  
6 ruling that no Certificate of Environmental  
7 Compatibility and Public Need is required for the  
8 proposed construction, maintenance and operation  
9 of a 26.4 megawatt AC solar photovoltaic electric  
10 generating facility on approximately 289 acres  
11 comprised of 5 separate and abutting  
12 privately-owned parcels located generally west of  
13 Hopmeadow Street, north and south of Hoskins Road,  
14 and north and east of County Road, and associated  
15 electrical interconnection to Eversource Energy's  
16 North Simsbury Substation west of Hopmeadow Street  
17 in Simsbury, Connecticut.

## 23 | H e l d      B e f o r e:

**ROBERT STEIN, Chairman**

1       A p p e a r a n c e s :

2

3       C o u n c i l   M e m b e r s :

4                    SENATOR JAMES J. MURPHY, JR.,

5                    Vice Chairman

6                    ROBERT HANNON

7                    MICHAEL HARDER

8                    LARRY P. LEVESQUE, ESQ.

9                    DANIEL P. LYNCH, JR.

10                  ROBERT SILVESTRI

11

12                  C o u n c i l   S t a f f :

13                  MELANIE BACHMAN, ESQ.

14                  Executive Director and

15                  Staff Attorney

16

17                  ROBERT MERCIER

18                  Siting Analyst

19

20                  For the Applicant:

21                  PULLMAN & COMLEY, LLC

22                  90 State House Square

23                  Hartford, Connecticut 06103-3702

24                  BY: LEE D. HOFFMAN, ESQ.

25

1                   THE CHAIRMAN: Good afternoon, ladies  
2 and gentlemen. I'd like to call to order this  
3 meeting of the Connecticut Siting Council of  
4 Petition 1313, today, Tuesday, September 12, 2017,  
5 at approximately 3 p.m. My name is Robin Stein.  
6 I'm Chairman of the Connecticut Siting Council.

7                   Other members of the Council present  
8 are Senator Murphy, our Vice Chairman; Mr. Hannon,  
9 our designee from the Department of Energy and  
10 Environmental Protection; Mr. Levesque, designee  
11 from the Public Utilities Regulatory Authority;  
12 Mr. Harder; Mr. Lynch; and Mr. Silvestri. Members  
13 of the staff present are Attorney Bachman, our  
14 Executive Director; Mr. Mercier, our siting  
15 analyst; and Ms. Fontaine, our fiscal  
16 administrative officer.

17                   This hearing is held pursuant to Title  
18 16 of the Connecticut General Statutes and of the  
19 Uniform Administrative Procedure Act upon a  
20 petition from DWW Solar II, LLC for a declaratory  
21 ruling that no Certificate of Environmental  
22 Compatibility and Public Need is required for the  
23 proposed construction, maintenance and operation  
24 of a 26.4 megawatt AC solar photovoltaic electric  
25 generating facility on approximately 289 acres

1 comprised of five separate and abutting  
2 privately-owned parcels located generally west of  
3 Hopmeadow Street, north and south of Hoskins Road,  
4 and north and east of County Road, and associated  
5 electrical interconnection to Eversource Energy's  
6 North Simsbury Substation west of Hopmeadow Street  
7 in Simsbury, Connecticut. The petition was  
8 received by the Council on June 29, 2017.

9 As a reminder to all, off-the-record  
10 communication with a member of the Council, or a  
11 member of the Council's staff upon the merits of  
12 this petition is prohibited by law.

13 The parties and intervenors to the  
14 proceeding are as follows: The petitioner, DWW  
15 Solar II, LLC with Attorney Hoffman. The parties:  
16 Town of Simsbury, Attorney Langer. Department of  
17 Energy and Environmental Protection, Attorney  
18 Rigney. Department of Agriculture, Mr. Bowsza.  
19 And Flammini et al, who are the abutting property  
20 owners, with Attorney Kosloff.

21 We'll proceed in accordance with the  
22 prepared agenda, copies of which are available  
23 here, I think the back of the room. Also  
24 available are copies of the Council's Citizens  
25 Guide to Siting Council Procedures. At the end of

1 this afternoon's session, we will recess and then  
2 resume again at 6:30 p.m.

3                   The 6:30 p.m. session will be reserved  
4 for the public to make brief oral statements into  
5 the record. I wish to note that parties and  
6 intervenors, including their representatives and  
7 witnesses, are not allowed to participate in the  
8 public comment session. I also wish to note for  
9 those who are here, and for the benefit of your  
10 friends and neighbors who are unable to join us  
11 for the public comment session, that you or they  
12 may send written statements to the Council within  
13 30 days of the date hereof, and such written  
14 statements will be given the same weight as if  
15 spoken at the hearing.

16                   A verbatim transcript will be made of  
17 the hearing and deposited with the Town Clerk's  
18 office in Simsbury and Granby for the convenience  
19 of the public.

20                   So I'd like to call your attention to  
21 those items shown on the hearing program marked as  
22 Roman numeral 1-D, Items 1-116. Does the  
23 petitioner or any party or intervenor have any  
24 objection to the items that the Council has  
25 administratively noticed?

1                   MR. HOFFMAN: No objection, sir.

2                   THE CHAIRMAN: Hearing and seeing none,  
3 the Council accordingly administratively notices  
4 these documents, statements and comments.

5                   (Administrative Notice taken of Items  
6 I-D-1 through I-D-116.)

7                   THE CHAIRMAN: Will the petitioner  
8 please present your witness panel for the purposes  
9 of taking the oath?

10                  MR. HOFFMAN: Absolutely. Thank you,  
11 Chairman Stein.

12                  So I would like to introduce folks. I  
13 will take them slightly out of order on the  
14 program so that we can go from my left, your  
15 right, down the line because I'm too challenged to  
16 figure it out any other way.

17                  So immediately to my left is Mr. Claude  
18 Cote, who is our EHS consultant. Next to him is  
19 Jeffrey Grybowski, the president of Deepwater  
20 Wind. Immediately next to him is Aileen Kenney,  
21 who is the vice president of permitting and  
22 development for Deepwater Wind. Next to her is  
23 Susan Moberg, consultant with VHB, who is really a  
24 project manager for this facility. Next to Sue is  
25 Paul Vitaliano, who's a public engineer in the

1 State of Connecticut. Next to him is Jeffrey  
2 Peterson, a soil scientist, also with VHB. And on  
3 the end, put no means least, is Gordon Perkins  
4 from EDR, who's our visual consult expert.

5 And I would present these witnesses to  
6 be sworn in at this time.

7 C L A U D E   C O T E ,  
8 J E F F R E Y   G R Y B O W S K I ,  
9 A I L E E N   K E N N E Y ,  
10 S U S A N   M O B E R G ,  
11 P A U L   V I T A L I A N O ,  
12 J E F F R E Y   P E T E R S O N ,  
13 G O R D O N   P E R K I N S ,

14 called as witnesses, being first duly sworn  
15 by Ms. Bachman, were examined and testified  
16 on their oaths as follows:

17 THE CHAIRMAN: Do you want to continue  
18 by numbering the exhibits you're filing and  
19 verifying, please?

20 MR. HOFFMAN: Yes. Under Roman Numeral  
21 II-B, we have seven exhibits for identification  
22 purposes. They are Item No. 1, the petition for a  
23 declaratory ruling. Item No. 2, DWW's responses  
24 to the Siting Council's interrogatories that were  
25 dated August 28, 2017. Item No. 3, the proposed

1 field review driving route, dated September 1,  
2 2017. Item No. 4 is aerial drone footage of the  
3 proposed site, dated September 1, 2017. Item No.  
4 5 is DWW's responses to the Town of Simsbury's  
5 interrogatories, which are dated September 5th.  
6 Item No. 6, DWW's responses to the Department of  
7 Agriculture's interrogatories, also dated  
8 September 5th. And Item No. 7, which is our sign  
9 posting correspondence with attached photographs,  
10 also dated September 5th.

11 I would submit these exhibits for  
12 identification at this time.

13 THE CHAIRMAN: Is there any objection?  
14 (No response.)

15 THE CHAIRMAN: So continue with the  
16 verification, please.

17 MR. HOFFMAN: Absolutely. So what I  
18 would like to do, if I might, is take all of the  
19 exhibits, except for Exhibit 4, for verification  
20 at this time. And I'd like to deal with Exhibit 4  
21 separately, because it was one human being that  
22 did all the work, if that's okay with you?

23 THE CHAIRMAN: Sure. Go ahead.

24 DIRECT EXAMINATION

25 MR. HOFFMAN: So taking these all in

1 order, I will ask each of the witnesses in turn  
2 the same questions. The first question is, did  
3 you prepare or cause to be prepared the Exhibits  
4 1, 2, 3, 5, 6 and 7?

5 Mr. Cote.

6 THE WITNESS (Cote): Yes.

7 MR. HOFFMAN: Mr. Grybowski.

8 THE WITNESS (Grybowski): Yes.

9 MR. HOFFMAN: Ms. Kenney.

10 THE WITNESS (Kenney): Yes.

11 MR. HOFFMAN: Ms. Moberg.

12 THE WITNESS (Moberg): Yes.

13 MR. HOFFMAN: Mr. Vitaliano.

14 THE WITNESS (Vitaliano): Yes.

15 MR. HOFFMAN: Mr. Peterson.

16 THE WITNESS (Peterson): Yes.

17 MR. HOFFMAN: Mr. Perkins.

18 THE WITNESS (Perkins): Yes.

19 MR. HOFFMAN: And do you have any  
20 edits, corrections or changes to any of those  
21 exhibits today?

22 Mr. Cote.

23 THE WITNESS (Cote): No modifications.

24 MR. HOFFMAN: Mr. Grybowski.

25 THE WITNESS (Grybowski): No.

1                   MR. HOFFMAN: Ms. Kenney.

2                   THE WITNESS (Kenney): No.

3                   MR. HOFFMAN: Ms. Moberg.

4                   THE WITNESS (Moberg): No.

5                   MR. HOFFMAN: Mr. Vitaliano.

6                   THE WITNESS (Vitaliano): No.

7                   MR. HOFFMAN: Mr. Peterson.

8                   THE WITNESS (Peterson): No.

9                   MR. HOFFMAN: Mr. Perkins.

10                  THE WITNESS (Perkins): Yes.

11                  MR. HOFFMAN: And could you explain  
12 what your proposed edit is?

13                  THE WITNESS (Perkins): In Exhibit G,  
14 the visibility assessment --

15                  MR. HOFFMAN: I'm sorry, Mr. Perkins.  
16 Exhibit G of the petition?

17                  THE WITNESS (Perkins): Of the  
18 petition, the visibility assessment. On page 4, I  
19 made reference to barbed wire on top of the chain  
20 link fence. That does not apply in this  
21 application, and it should be stricken.

22                  MR. HOFFMAN: So there is no barbed  
23 wire on top of the chain link fence for this  
24 petition?

25                  THE WITNESS (Perkins): That's correct.

1                   MR. HOFFMAN: Thank you. And with  
2 that, is that your only modification to any of  
3 these exhibits?

4                   THE WITNESS (Perkins): Yes.

5                   MR. HOFFMAN: Thank you.

6                   And subject to that one modification,  
7 do you each adopt these six exhibits as your sworn  
8 testimony here today?

9                   Mr. Cote.

10                  THE WITNESS (Cote): Yes, I do.

11                  MR. HOFFMAN: Mr. Grybowski.

12                  THE WITNESS (Grybowski): Yes.

13                  MR. HOFFMAN: Ms. Kenney.

14                  THE WITNESS (Kenney): Yes.

15                  MR. HOFFMAN: Ms. Moberg.

16                  THE WITNESS (Moberg): Yes.

17                  MR. HOFFMAN: Mr. Vitaliano.

18                  THE WITNESS (Vitaliano): Yes.

19                  MR. HOFFMAN: Mr. Peterson.

20                  THE WITNESS (Peterson): Yes.

21                  MR. HOFFMAN: Mr. Perkins.

22                  THE WITNESS (Perkins): Yes.

23                  MR. HOFFMAN: And with respect to  
24 Exhibit 4, which is the aerial drone footage,  
25 Mr. Perkins, did you prepare or cause that footage

1 to be prepared?

2 THE WITNESS (Perkins): Yes.

3 MR. HOFFMAN: And do you have any  
4 proposed changes to that footage?

5 THE WITNESS (Perkins): No.

6 MR. HOFFMAN: And do you adopt that  
7 footage as part of your sworn testimony here  
8 today?

9 THE WITNESS (Perkins): Yes.

10 MR. HOFFMAN: And with that, I would  
11 submit all seven exhibits as full exhibits at this  
12 time.

13 THE CHAIRMAN: Do any of the parties or  
14 intervenors have any objection to the admission of  
15 these exhibits?

16 A VOICE: No objection, Mr. Chairman.

17 A VOICE: No objection.

18 THE CHAIRMAN: Okay. Hearing and  
19 seeing none, the exhibits are admitted.

20 (Applicant's Exhibits III-B-1 through  
21 III-B-7: Received in evidence - described in  
22 index.)

23 THE CHAIRMAN: We will now begin with  
24 cross-examination of the petitioner by our staff,  
25 Mr. Mercier.

1                   MR. HOFFMAN: Thank you, Mr. Chairman.

2                   CROSS-EXAMINATION

3                   MR. MERCIER: Thank you. I'm just  
4                   going to begin just going by some of the responses  
5                   to the Council interrogatories just to clear up a  
6                   couple of items I had questions on.

7                   To begin with, actually Question 19  
8                   which had to do with a question regarding a Shade  
9                   Study Analysis.

10                  THE COURT REPORTER: Speak up, Mr.  
11                  Mercier.

12                  MR. MERCIER: Now, in the response it  
13                  mentions there's 10 acres of clearing required for  
14                  removal of trees for shading. That's in the lower  
15                  part of the response. But the upper part of the  
16                  response it states that due to shading the energy  
17                  production would be reduced by about 4.2 percent  
18                  based on an analysis conducted by the petitioner.  
19                  So is the 4.2 percent before or after the  
20                  clearing, the energy reduction? Even though  
21                  you're going to clear 10 acres, is there still an  
22                  additional reduction due to tree shading?

23                  THE WITNESS (Kenney): I believe that  
24                  the 4.2 percent reduction is after the clearing  
25                  that we have proposed.

1                   MR. MERCIER: Okay. Would it make any  
2 sense to do additional clearing to increase the  
3 production, or is that loss minimal over the size  
4 of this project?

5                   THE WITNESS (Kenney): So as we say,  
6 it's typical to have some sort of loss due to  
7 shading. When we were siting the project, we did  
8 balance the desire to increase the energy  
9 production with some considerations regarding some  
10 of the trees that are on site, and we made the  
11 determination that it was appropriate to leave  
12 certain trees. And those trees would result in  
13 some level of shading, but they also provide some  
14 screening, visibility screening, and some of them  
15 are what we determined to be very valuable trees  
16 that we would prefer to remain on site. So we  
17 would propose to not do any additional clearing to  
18 increase production.

19                   MR. MERCIER: Okay. I also saw in the  
20 petition -- I think it was on page 9 -- related to  
21 this that basically said you're going to have  
22 100-foot cleared area on the east, south and west  
23 side of the edge of the fence which encloses the  
24 solar field. So that 100-foot buffer of clearing  
25 between the new forest edge and the fence, that

1 has to do with shading. Is that correct?

2 THE WITNESS (Kenney): That's correct,  
3 in general. There are some locations where we  
4 have left trees within that 100-foot buffer. For  
5 example, where we were today along Hoskins Road,  
6 the trees that are along the start of Country Road  
7 there, those will remain. So not in all cases  
8 have we cleared that 100-foot buffer.

9 MR. MERCIER: Okay. I'm looking at  
10 also the tree clearing map that was provided in  
11 Exhibit B, petition Exhibit B, that is. It shows  
12 the limits in pink. Now looking at the north  
13 edge --

14 THE CHAIRMAN: Mr. Hannon has a  
15 follow-up.

16 MR. HANNON: Thank you.

17 Regarding this 100-foot wide zone  
18 around the east, west and south sides of the  
19 project that will be cleared of vegetation and  
20 managed as meadow, what measures will be put in  
21 place to try and minimize or remove invasive  
22 species?

23 THE WITNESS (Moberg): We had  
24 anticipated that as part of the development and  
25 management plan we would develop an invasive

1 species management plan for the project that would  
2 become part of the operations and maintenance  
3 plan. So we haven't delved deeply at this point  
4 into invasive species control. The issue or the  
5 question has been brought up in a number of  
6 discussions, so we are aware and do anticipate the  
7 need to develop that plan.

8 But that being said, we expect at least  
9 once annually that those cleared areas would need  
10 to be mowed or maintained in some way to keep  
11 woody vegetation from growing back. So if it's an  
12 existing open area, such as the agricultural  
13 fields, we're expecting to plant that with some  
14 sort of a low-growing grass or herbaceous cover,  
15 and the areas that are currently wooded would be  
16 managed a little bit differently, essentially  
17 selecting for species that have a mature height  
18 under 20 feet. This is the kind of vegetation  
19 maintenance that is typically conducted by utility  
20 companies in the rights-of-way, so similar types  
21 of practices. But we expect that, when that work  
22 is being conducted, it would be a good time for  
23 observation or inspection for invasive species,  
24 and then potentially treatment at that time,  
25 whether it's removal, or some other kind of

1 treatment, but most likely physical removal.

2 MR. HANNON: I just wanted to make sure  
3 that that is not something that was going to be  
4 forgotten.

5 THE WITNESS (Moberg): Yeah. No, it's  
6 certainly been considered, yes. We just -- there  
7 was a lot in the petition already. So we expected  
8 we would be doing that as part of the D&M plan.

9 MR. HANNON: Okay. Thank you.

10 MR. MERCIER: To follow up on  
11 Mr. Hannon's question, in regards to the clearing,  
12 we just talked about the 100-foot buffer, and then  
13 some of the areas you're going to clear trees for  
14 the buffer, but you're not going to remove any  
15 stumps. Is it your intent when you do the initial  
16 clearing to remove the understory layer of things  
17 below 20 feet, any kind of shrubs, all that  
18 material will be removed or --

19 THE WITNESS (Moberg): No. I don't  
20 think we need to do that. Essentially the treed  
21 areas that would fall within that 100-foot buffer  
22 for shading, we don't want to grub or disturb the  
23 soil. This was an arrangement we came to with the  
24 State Historic Preservation Office, in essence.  
25 Some of those areas were considered to be

1 potentially archeologically significant in our  
2 phase 1A cultural resource survey, and this was an  
3 avoidance measure essentially. So if we cut the  
4 trees down but leave the stumps and avoid any  
5 significant soil disturbance, the State Historic  
6 Preservation officer concurred that that would be  
7 an appropriate mitigation measure. So we opted to  
8 apply that approach in all areas, not just the  
9 potentially archeologically significant areas.

10 So I don't think that we need to --  
11 sorry if you can't hear me -- I don't think that  
12 we need to take down all the shrubs, essentially.  
13 We would leave whatever vegetation is lower than  
14 20 feet. There are many species that get taller  
15 than your average shrub, but still top out at less  
16 than 20 feet. And so by selectively removing  
17 species that would grow taller than 20 feet, you  
18 ultimately, you know, develop a very dense cover  
19 of native vegetation that doesn't get so tall that  
20 it shades the project.

21 MR. MERCIER: Thank you. Now, for the  
22 north side of your solar fields, I see on the tree  
23 clearing map the edges there. I don't see a  
24 100-foot buffer. Obviously, it's probably not  
25 needed because of the way the sun angles onto the

1 panels. Is that correct?

2 THE WITNESS (Kenney): That's correct.

3 MR. MERCIER: Do you know what the  
4 distance would be, say, from the fence line to the  
5 limit of clearing or limit of existing trees that  
6 would be retained on the north side? Is it  
7 something like 50 feet or 20 feet?

8 THE WITNESS (Moberg): I think it  
9 varies. In essence, some places there's a need  
10 for grading in order to build the perimeter road,  
11 and so in those areas there may be more tree  
12 clearing. In other areas there's that pink line  
13 that shows the proposed tree line actually  
14 identifies an existing tree line that's further  
15 away than we need it to be. So it's variable.

16 MR. MERCIER: I guess I'll just ask,  
17 looking at the north field, it says acres to be  
18 cleared 18.1 on the Exhibit B. Then I see the  
19 perimeter of the fence, and then I see the forest.  
20 I'm just wondering, are you accounting for any  
21 type of storms where it takes down trees and knock  
22 down into your fence and into your solar --  
23 potentially hit the solar arrays? I just want to  
24 know what the distance was. Did you account for  
25 anything like that?

1                   The other consideration was the ash  
2 trees die off, you know, you get dead ash trees  
3 surrounding the site potentially. I don't know  
4 what the type of forest there is, but that's also  
5 a concern of limbs and things blowing down onto  
6 your project. So I just want to know what steps  
7 are you going to do to ensure that there's no  
8 damage due to storms and dead fall.

9                   THE WITNESS (Moberg): Okay. I don't  
10 believe that we specifically planned or accounted  
11 for wind fall on the project. One of the things  
12 that is typical, I think, for maintaining the  
13 limits of clearing is the removal of danger trees.  
14 So as part of our annual maintenance for the  
15 facility, that would be an inspection of the trees  
16 around the perimeter to assess the condition and  
17 the danger. So there may be some selective  
18 limbing or removal of trees, particularly if they  
19 are diseased or dying.

20                   MR. MERCIER: Thank you. Staying with  
21 the tree clearing diagram, I understand you have  
22 to get the underground cables over to the  
23 Simsbury, North Simsbury Substation, which is  
24 along Dorset Crossing. However, I didn't see any  
25 tree clearing associated with that. Is there an

1 existing pathway or road through the forest that  
2 you're going to utilize, or is there going to have  
3 to be tree clearing to install that underground  
4 cable to the substation?

5 THE WITNESS (Kenney): So there is --  
6 in some areas there is an existing pathway, but we  
7 did include a statement about the clearing that  
8 would be required in the actual petition, the  
9 clearing that would be required for the temporary  
10 tree clearing for the buried cable right-of-way.

11 MR. MERCIER: What type of equipment do  
12 you need to get in there? First of all, how wide  
13 is the pathway? Is it a small old road, like an  
14 old wood road?

15 THE WITNESS (Kenney): In some areas  
16 there's an existing road that would be wide  
17 enough, and other areas there's a walking path  
18 that we're going to try to follow. Not in all  
19 areas. In some areas we would have to create a  
20 pathway. So I'm just going to find the correct  
21 reference for the width. We gave it an average  
22 width.

23 MR. MERCIER: That's okay. If it's in  
24 there, I'll try to find it again.

25 I guess the only question I had was

1 ongoing, after the cable is installed, what type  
2 of maintenance you have to do in there. Are you  
3 just going to mow it into a -- keep it mowed down  
4 the length of the cable run?

5 THE WITNESS (Moberg): Right. One of  
6 the alternative routes, the southern route, is  
7 actually under an existing gravel farm road.

8 MR. MERCIER: Yes. I guess I'm on the  
9 northern route is my question.

10 THE WITNESS (Moberg): The northern  
11 route, it's currently an existing path. So to the  
12 extent that we have that minimal tree clearing, we  
13 would mow, yes, over that cable, typical  
14 right-of-way maintenance.

15 MR. MERCIER: Thank you.

16 THE WITNESS (Moberg): You're welcome.

17 MR. MERCIER: Moving on to Question 22.  
18 It has to do with the different types of racking  
19 for the project. Now, it states basically drilled  
20 concrete foundations would only be used if there's  
21 ledge encountered. Based on your available data,  
22 is there any particular area of the project site  
23 where there might be ledge?

24 THE WITNESS (Moberg): We haven't done  
25 geotech analyses yet, so we don't actually have

1 that kind of data, but based on the soil mapping  
2 and the soil test pits that we've conducted to  
3 date, no ledge has been encountered. So we're not  
4 really expecting it, but in the event that it's  
5 encountered, we would drill for those piles.

6 MR. MERCIER: Okay. When you install  
7 the piles, I think you mentioned in one of the  
8 interrogatories a type of equipment. I'm just  
9 trying to picture the equipment. Does it look  
10 like a drill rig, like a private well drill rig,  
11 something like that?

12 THE WITNESS (Moberg): It's small. The  
13 piece of equipment that we described -- you can  
14 actually Google it -- and it's about the size of a  
15 bobcat, or maybe a little bit bigger. It's  
16 relatively small equipment.

17 MR. MERCIER: Now, is it similar, like  
18 a hammering activity, is it repeated strikes onto  
19 to H-pile to drive it to the desired depth?

20 THE WITNESS (Moberg): Yes.

21 MR. MERCIER: And since it's a small  
22 bobcat, there's no like little defined access road  
23 or something you might need along the solar roads,  
24 or potential solar roads, to use this equipment,  
25 it can go over uneven terrain?

1                   THE WITNESS (Moberg): Correct.

2                   MR. MERCIER: Okay. For a project this  
3 size, there's basically three main -- three large  
4 fields. Do you anticipate having different drill  
5 rigs at different areas at the same time? When  
6 you build the project, are you going to start one  
7 in the north end and work south, or are you going  
8 to work all over the place?

9                   THE WITNESS (Kenney): I don't think  
10 that's been completely determined yet, but I think  
11 that conceptually, you know, you would find a  
12 logical way to do it like that. At this point we  
13 don't know whether we would try to do drilling at  
14 more than one location at a time. That's  
15 something we would request flexibility on to  
16 determine and submit final details with the final  
17 design in the D&M plan.

18                   MR. MERCIER: Once the racks are  
19 installed and you affix the panels to them and now  
20 you have the wiring, how is the wiring run along  
21 the panels? Is it below the panel edge down to a  
22 common point at the end of a row, or does it go  
23 directly down, say, on the H-frame racks. How's  
24 the wiring affixed?

25                   THE WITNESS (Cote): Claude Cote. The

1 panels are DC. So as a general statement, the  
2 long rows that you see of the panels around the DC  
3 side, they tend to amalgamate the cables all the  
4 way down to the end of the row. At the end of the  
5 row you have a combiner box which combines the DC,  
6 brings it at that point from under the racks and  
7 under the panels through the combiner box  
8 underground to the recombiner, which is downstream  
9 at the next location, which is where the inverter  
10 is.

11 MR. MERCIER: For the downstream  
12 portions is the wire inside a concrete casing or  
13 something underground, or is it a tube?

14 THE WITNESS (Cote): It's generally a  
15 conduit. It's not concrete bed.

16 MR. MERCIER: So it's conduit directly  
17 into the ground?

18 THE WITNESS (Cote): It's in the racks  
19 to the end of the combiner where from that point  
20 forward it's underground in a conduit, which is  
21 PVC or metal, depending on the design.

22 THE WITNESS (Kenney): Just a point of  
23 clarification. For this project we're working  
24 with the construction. In our thinking about  
25 construction, we're unsure at this point whether

1 we would have a conduit in the roads. That's  
2 something that we, again, don't want to commit to  
3 today because we feel that we'd like to preserve  
4 as much as we can for future agricultural use, and  
5 we think that being able to just pull the cable  
6 right now out could be beneficial towards that  
7 future end use. So the determination as to  
8 whether or not this would be in a conduit is  
9 unknown at this time in the access road, the  
10 collection points.

11 MR. MERCIER: Okay. Thank you.

12 THE CHAIRMAN: I have another  
13 follow-up.

14 MR. HANNON: As far as whether the wire  
15 is in a conduit or not, isn't that going to be  
16 left up to the building official?

17 THE WITNESS (Cote): It depends. If  
18 you use -- there are two types of wiring schemes  
19 that you can use. You can use a direct burial  
20 cable, and you can use direct burial cable from  
21 the combiner box to the recombiner. If you use a  
22 different type of cable, you have to use conduit.  
23 It's between, you know, the design which you  
24 choose, but it has to meet the National Electrical  
25 Code. So it's NEC requirements you have to do A

1 or you have to do B. But either way you take it  
2 from the point on a direct burial cable, or you  
3 take it in a conduit.

4 MR. HANNON: So then it sounds like a  
5 final decision has to be made as to the type of  
6 wire that will be used on the project. Is that  
7 correct?

8 THE WITNESS (Kenney): We don't know  
9 yet exactly which wire would be used. Just to  
10 clarify, it may be the kind that's in the conduit,  
11 or we may go with the direct bury for that  
12 portion.

13 MR. HANNON: Okay. Thank you.

14 MR. MERCIER: When you're installing  
15 the H-frames -- we talked about the bobcat,  
16 similar equipment -- what other equipment will be  
17 used? When you're installing the actual solar  
18 arrays and the conduit, what type of vehicles  
19 would be driving around the fields to install the  
20 equipment and associated gear, pickup trucks, dump  
21 trucks, what type of --

22 THE WITNESS (Kenney): Sure. So we  
23 expect that the panels and the equipment would be  
24 delivered to site on a large truck, something like  
25 an 18 wheeler would come and drop the equipment

1 off to a staging area. From there it would be  
2 delivered on site on pickup trucks, larger pickup  
3 trucks that would bring it to specific locations,  
4 and then the smaller equipment would then install  
5 the actual equipment. There's a lot of this  
6 that's actually done by hand. So when the panels  
7 are brought, they're actually lifted onto the  
8 H-frames by hand and installed by hand. Some of  
9 it's done with the bobcat type equipment.

10 MR. MERCIER: Now, in Response 25 that  
11 had to do with the width of the post-construction  
12 access road. And I believe I think you stated  
13 here the Town of Simsbury wanted a wider road, and  
14 the petitioner stated 12 feet would suffice for  
15 post-construction. What about during  
16 construction, what's the width of the road you  
17 might need for actual construction with this  
18 equipment, 18 wheelers and whatever?

19 THE WITNESS (Kenney): So the staging  
20 area has not been determined, the final location,  
21 but it's likely to be in the area of Hoskins Road  
22 where we were today. So there wouldn't need to be  
23 access across the site for a larger piece of  
24 equipment like an 18 wheeler. So when we think  
25 about construction access, we're thinking about,

1 you know, the Ford F350, F250, kind of that size  
2 truck that would be transiting the site.

3 So we would likely prepare temporary  
4 construction roads that would bring the equipment  
5 through the site. We haven't determined the final  
6 need for the width of those roads, but we are  
7 sensitive, especially to the residents in the  
8 Litchfield Drive area, we're sensitive to over  
9 widening that road. That's an existing  
10 agricultural road that we plan to use. It's  
11 currently used as an access point for agricultural  
12 activities. That's an area where we're  
13 particularly sensitive to the final size of the  
14 road. So that's something that we would work  
15 closely with the first responders to determine  
16 what the final need is, and then we would work  
17 with our construction contractor to try to not  
18 make that road any wider than what the final road  
19 needs to be.

20 MR. MERCIER: You say that. But is it  
21 your belief that the current road around  
22 Litchfield Drive into the north field area, is  
23 that sufficient width for this type of  
24 construction?

25 THE WITNESS (Kenney): Currently the

1 road is quite rutted out, so it would definitely  
2 need to be enhanced and likely widened. Sue can  
3 probably speak to the current width and the needed  
4 width.

5 THE WITNESS (Moberg): It's actually  
6 variable the current width. I mean, I don't know,  
7 some people in the room have probably been down  
8 that road, but it's variable. Originally our  
9 design and the design that was filed with this  
10 application calls for a 20-foot wide road, so we  
11 would be doing some nominal widening of that  
12 existing road.

13 Since that time we've been going  
14 through this process, like Aileen described, where  
15 we are looking at trying to decrease the permanent  
16 future width of that road, and we feel that we can  
17 do it. We haven't re-engaged in conversation with  
18 the first responders, the fire department, and  
19 emergency rescue yet, so we still need to do that,  
20 but we think in a couple of locations if we have a  
21 pull-off so vehicles can, you know, be traversing  
22 in both directions, that that would for our  
23 purposes be sufficient. And so we think we can  
24 actually decrease the width of the existing road  
25 in some places, and it would still be sufficient

1 for the purposes of this project.

2 THE CHAIRMAN: Mr. Silvestri has a  
3 follow-up.

4 MR. SILVESTRI: Thank you,  
5 Mr. Chairman. I didn't quite understand the  
6 answer to 25, so I'm going to ask it again, if you  
7 will. It says, "A post-construction road width of  
8 20 feet is not required. However, based on the  
9 project team's conversations with first  
10 responders, this width is preferred."

11 And then if you go to the end of it, it  
12 says, "The minimum road width for  
13 post-construction use is approximately 12 feet."

14 So it kind of went down from the  
15 proposed, yeah, 20 is nice, to 12, but there's a  
16 caveat there that says, "however this width is not  
17 achievable in all areas due to safety and  
18 accessibility concerns."

19 Does that mean you'd want to make it  
20 bigger than 12?

21 THE WITNESS (Moberg): I think those  
22 are the areas I was referring to where there would  
23 be a pull-out so that vehicles could -- you know,  
24 if you've ever driven in Scotland, that's the way  
25 they do it there. You're driving along, and

1 there's a pull-out so that the oncoming vehicle  
2 can go past. That's the type of thing where it  
3 would be wider than 12 feet.

4 MR. SILVESTRI: What I was looking at  
5 is first responders generally have wide vehicles.

6 THE WITNESS (Moberg): Right.

7 MR. SILVESTRI: And would a 12-foot  
8 road accommodate a wide vehicle, a fire truck, an  
9 ambulance, that type of thing? I don't think it  
10 would.

11 THE WITNESS (Moberg): Maybe, Paul, you  
12 could answer this. But there's a software we use  
13 called AutoTURN that basically models vehicles,  
14 different size vehicles traveling around a site.  
15 If you think about like a shopping center or  
16 something, you've got parking islands and  
17 different size vehicles, whether it's a car or an  
18 18 wheeler, and you can model the movements of  
19 those vehicles around a site and determine where  
20 you need to have a wider road or a smaller island  
21 in your parking lot. So we did actually go  
22 through that process modeling the movement of the  
23 fire truck that the Town of Simsbury currently  
24 owns. And based on that analysis, it appears  
25 feasible to make the road 12 feet wide.

1                   MR. SILVESTRI: And still fit a fire  
2 truck?

3                   THE WITNESS (Kenney): We still have to  
4 consult with the first responders on any change  
5 like that. So at this point our petition is for  
6 the 20-foot road with a commitment to work with  
7 the first responders to try to come to some  
8 accommodation of a smaller road, if feasible.

9                   MR. SILVESTRI: Thank you, Mr.  
10 Chairman.

11                  MR. MERCIER: Now, going to response  
12 34, this had to do with the 7-foot tall fence  
13 enclosing the project site in most areas. Is it a  
14 code requirement to actually enclose a solar  
15 field, or just enclose the electrical transformers  
16 and inverters?

17                  THE WITNESS (Cote): Under the National  
18 Electrical Code basically you have two options.  
19 When you have energized electrical conductors  
20 associated with the generation of power, you need  
21 to isolate it with security and fencing. The  
22 fencing you have, basically it's a little  
23 ambiguous in the code, but basically it comes down  
24 to two options. You can put in a 6-foot fence  
25 with a barbed wire one-foot rack back, or you can

1 put in a 7-foot chain link type fence. The  
2 perimeter of the generating facility has to be  
3 isolated from pedestrian traffic, you know,  
4 trespassers, people who may come in and stuff to,  
5 in essence, isolate your power generation. So  
6 that's what you come down to.

7 The choice was made in this particular  
8 case that rather than do the barbed wire option on  
9 the 6-footer, that there would be a 7-foot fence  
10 which is chain link which is, in essence, code  
11 driven.

12 MR. MERCIER: I saw in the plans some  
13 location you may have a, I think, a 10-foot vinyl  
14 fence. Is that also code compliant?

15 THE WITNESS (Cote): My  
16 understanding -- let me shift this off to the left  
17 here. My understanding is, is that some of the  
18 vinyl fences and some of the other fences are  
19 aesthetically driven. From the core power  
20 generation side, you have a chain link type fence  
21 of the type that I described. Exterior to that  
22 for aesthetic purposes, or neighborhood purposes,  
23 you may have additional buffer screening or other  
24 fences which are not associated with that but are  
25 exterior to that for aesthetic values.

1                   MR. MERCIER: Okay. I didn't  
2 understand that. So you essentially will have two  
3 fences in certain locations for aesthetic  
4 purposes?

5                   THE WITNESS (Cote): Correct.

6                   MR. MERCIER: Okay.

7                   THE CHAIRMAN: Follow-up from Mr.  
8 Lynch.

9                   MR. LYNCH: This is more or less  
10 hearsay. I'm not a hunter. But Mr. Hannon and I  
11 were on a field review a couple months back, and  
12 we were told from the individuals doing the field  
13 review for a solar facility that deer can jump a  
14 7-foot fence. And my question really is, do you  
15 have any clarification for that?

16                  THE WITNESS (Cote): I'll ask Sue to  
17 answer this question but, in essence, when the  
18 site is postulating is that there are pathways  
19 through between discontinuous portions of the site  
20 that allow for, in essence, a pathway through for  
21 travel for animals. Whether a deer can or can't  
22 jump a 7-foot fence is beyond my personal  
23 knowledge, to be candid.

24                  MR. LYNCH: That was just to inquire,  
25 you know, like follow-up, because we had heard it

1 before. Thank you.

2 THE WITNESS (Moberg): Sorry. So I  
3 think Claude was saying that we can make  
4 provisions for trapped wildlife to get out of the  
5 fenced area. I think the purpose of the fence is  
6 to keep unauthorized people from entering the  
7 facility. If a deer inadvertently jumps the  
8 fence, or purposefully jumps the fence, some  
9 facilities do have ramps or other types of  
10 structures on the inside of that security fence  
11 that allows the wildlife to walk up the ramp and  
12 jump back to the outside. They have to want to do  
13 it, obviously, but we could do that here. I don't  
14 think that we had thought that far into it.

15 MR. MERCIER: Staying with the 7-foot  
16 fence, is it being designed so there's a 6-inch  
17 gap for small animals between the ground surface  
18 and lower fence edge?

19 THE WITNESS (Cote): Generally a  
20 security fence goes basically to the ground. It  
21 may have a small clearance, but you're not going  
22 to find a whole lot of clearance underneath,  
23 because it defeats the purpose of a security  
24 fence.

25 MR. MERCIER: I was wondering if that

1 was part of the code, you have to bring it almost  
2 to the ground, just because other projects I have  
3 done in the past they sometimes have a wildlife  
4 gap, they call it, an area underneath, like 6  
5 inches, so something can get under.

6                   THE WITNESS (Cote): If you look at the  
7 NEC -- I don't have the section in front of me --  
8 basically it calls for a barrier fence for  
9 security purposes. It has no anticipation of  
10 cutouts or small wildlife travel. It's for  
11 purposes of site security, in essence, to prevent  
12 transport of trespassers into the facility or  
13 anything similar to that. So anything that would  
14 deviate from the security purpose isn't  
15 contemplated in the code, to be candid with you.

16                   MR. MERCIER: Okay. Thank you. Just  
17 out of curiosity, is Deepwater aware of any  
18 projects, maybe similar construction, where you  
19 have exterior wires along the racks, of any  
20 animals chewing on wires, you know, destroying  
21 equipment, things of that nature?

22                   THE WITNESS (Cote): Chewing on the  
23 wires?

24                   MR. MERCIER: Yes. Have you heard  
25 anything from other solar providers --

1                   THE WITNESS (Cote): I have been  
2 involved in many solar facilities, as well as wind  
3 facilities, and you tend, because they're in  
4 relatively isolated areas, rural areas, you tend  
5 not to have animals or animal infiltration into  
6 the metal or whatever. I mean, there's vegetative  
7 matter everywhere, so chewing on or digging wires  
8 or whatever is not generally a problem that you  
9 have. The problems that you have with your wire  
10 configurations would be erosion, or plows in the  
11 wintertime, or some type of mechanical  
12 infiltration.

13                   MR. MERCIER: Thank you.

14                   THE CHAIRMAN: If I were a witness,  
15 which I am not, I might testify to an example of  
16 an animal getting on a roof and chewing wires and  
17 wiping out a solar facility, but I'm not a  
18 witness.

19                   MR. MERCIER: I'm going to proceed to  
20 Question 44 and actually look at Petition Exhibit  
21 C. There is project site plans in there. Just in  
22 general on these plans I saw obviously a 100-foot  
23 wetland buffer, and then I saw another buffer. It  
24 said 200-foot wetland buffer. So I wasn't sure of  
25 the significance of the 200-foot wetland buffer.

1                   THE WITNESS (Moberg): Yeah. So our  
2 understanding is that the Town of Simsbury Inland  
3 Wetlands Commission regulates an area in excess of  
4 100 feet, which is typical across the state. And  
5 the ordinance references in areas of steep slopes  
6 there is an additional buffer added, and also in  
7 areas of erodible soils, and that those areas are  
8 depicted on a map that you can go view at the  
9 town.

10                  For the purposes of developing our  
11 earliest concept, we used 100 feet. And then when  
12 this new information came to light, we added the  
13 200-foot line on because that, based on our  
14 interpretation of the ordinance, was the greatest  
15 buffer that the Conservation Commission would  
16 regulate if they were regulating this project. So  
17 that enabled us to take a look at what kind of  
18 activity we were having within that area.

19                  MR. MERCIER: Thank you for that.

20                  I'm going to turn to page 5.2, C-5.2.  
21 I guess it actually was part of my Question 44.  
22 On page C-5.2, there's a sediment trap shown on  
23 the northeast corner kind of at the base of an  
24 area of grading. There's a square area called  
25 sediment trap.

1                   I guess my question is, what comes  
2 first here, is it the grading, or is it the  
3 sediment trap? I don't really understand how you  
4 could do both. So if someone could explain how  
5 that would be constructed, and how it's phased to  
6 control bare soils there?

7                   THE WITNESS (Vitaliano): The sediment  
8 trap obviously is something you would want to  
9 establish first, but kind of in conjunction with  
10 the grading that you're going to do. Obviously  
11 you want to minimize the amount of exposed area so  
12 that the trap is established and ready to receive  
13 the runoff. So I guess the safe answer is to say  
14 they're in conjunction, but realistically what you  
15 want to do is try to establish the trap as soon as  
16 you can. I understand that that particular --  
17 this particular one that you pointed out is in an  
18 area of grading that makes it hard or difficult to  
19 do that. So I would just say that we would  
20 probably look at that in more detail to determine  
21 how to install that.

22                   THE WITNESS (Moberg): Another thing  
23 that you might want to consider and that we will  
24 definitely be considering is that during  
25 construction you may install an initial sediment

1 trap to trap sediment that could be disturbed  
2 during tree clearing activities, and then you  
3 might conduct your rating and then come back and  
4 build another sediment trap. So it's not kind of  
5 a this is what we're doing, and this is all we're  
6 ever going to do. And so you have this chicken  
7 and the egg kind of situation. So there could be  
8 iterations of construction of sediment traps or  
9 other erosion control facilities, and that would  
10 be part of the function of the inspectors on the  
11 site to make sure that the erosion controls are  
12 maintained or augmented, as necessary, during  
13 construction to allow or retain sediment on the  
14 site.

15 THE CHAIRMAN: We have follow-up.

16 First Mr. Hannon, and then Mr. Harder.

17 MR. HANNON: My question goes back a  
18 couple of pages to map C-5.2, the same type of  
19 issue. You've got some significant grading, and  
20 yet you've got a temporary sediment basin that is  
21 built into the hill. There's about maybe a  
22 12-foot elevation difference. I don't understand  
23 how you're proposing to put that in.

24 THE WITNESS (Moberg): I think that's  
25 the same plan sheet that Bob was just referring

1 to.

2 MR. HANNON: He was at 5.4.

3 THE WITNESS (Moberg): Oh, okay.

4 MR. MERCIER: 5.4 was also another one  
5 I marked.

6 THE WITNESS (Moberg): Okay.

7 MR. MERCIER: But this question  
8 pertains to both.

9 MR. HANNON: Also part of my concern on  
10 this is that the area that you're talking about is  
11 26.1 acres. So that's getting well above the 5  
12 acres that Deep is looking at as far as the  
13 stormwater general permit, things of that nature.  
14 So in addition to having this to me what looks  
15 like sort of an unruly temporary sediment basin,  
16 you're also not addressing the balance of the site  
17 or raising again with roughly the 5 acre element.  
18 So that's part of what my question is in this  
19 area.

20 THE WITNESS (Vitaliano): I think, as  
21 Sue mentioned, that's something that the trap  
22 would probably be -- there will be intermediate  
23 traps leading to that final location. Keep in  
24 mind that 26 acres is a contributing area, not  
25 necessarily the exposed area. So it's really the

1 drainage area that goes to that spot. It doesn't  
2 mean that that 26 acres would be exposed at one  
3 time to drain to that spot, but we do acknowledge  
4 that as we develop the plan that areas such as  
5 that will have to be looked at to develop probably  
6 more intermediate phases in different locations  
7 for traps and basins.

8 MR. HANNON: I was just trying to make  
9 sure that that ends up getting looked at because  
10 there are a number of spots that exceed the 5  
11 acres. Thank you.

12 MR. HARDER: Regarding sediment traps  
13 and basins, could you explain how you  
14 differentiate trap from basin, and how you decide  
15 to use one versus the other? Is it just simply  
16 the size of the drainage area?

17 THE WITNESS (Moberg): Let me defer  
18 that to Paul.

19 THE WITNESS (Vitaliano): Yes, the trap  
20 is meant for an area of one acre or less.

21 MR. HARDER: Excuse me. Is the  
22 structure or the system basically the same, ones  
23 just a larger version of the other?

24 THE WITNESS (Vitaliano): It's a little  
25 more -- so the trap is based on -- the size is

1 based on the volume, the area that goes to it.  
2 The sediment basin is a little more detailed  
3 because it has a design discharge to it, so it's  
4 for a larger area. I believe we did explain -- we  
5 did explain that where the sediment traps are for  
6 1 to 5 acres, and greater than 5 acres are the  
7 basin. So the 1 to 5 acres is based -- a trap of  
8 5 acres is going to be larger than a trap that's  
9 received one acre of land. It's a certain volume  
10 per area contributing to it. And it really is a  
11 collection point for that flow. The sediment  
12 basin is a much more detailed design because it is  
13 larger so it has a stage release from it, so  
14 you're actually designing an outlet to it as well.  
15 So it's meant to be for larger areas.

16 MR. HARDER: Okay. In Exhibit L, I  
17 guess, in the stormwater pollution prevention plan  
18 there was a comment that additional basins may be  
19 needed depending on phasing. And I'm wondering at  
20 what point would the determination be made that  
21 additional basins -- I guess what point in the  
22 sequence of activity would that decision be made?  
23 I'm assuming it would be made early in the  
24 process, not after a problem occurs?

25 THE WITNESS (Moberg): We would expect

1 to put a lot more thought into this during the  
2 development and management plan phase of this  
3 process. I think that for these plans we were  
4 trying to represent where sediment traps would  
5 likely be, but the phasing is clearly something  
6 that is important, and we need a much more  
7 detailed approach to that. So we fully anticipate  
8 doing that for the development and management  
9 plan. So definitely prior to the commencement of  
10 construction.

11 THE WITNESS (Vitaliano): And also if I  
12 could add to that? We are going to submit for a  
13 Connecticut -- for a general permit with the DEP  
14 because of the level of disturbance so that would  
15 have to be -- to your comment about obviously do  
16 this prior to an issue, yes, we'd have to  
17 obviously design that prior to submitting it for a  
18 permit as well.

19 MR. HARDER: The last question I have  
20 on this issue is -- I'm not sure where this  
21 comment was, but somewhere you made the comment  
22 that temporary sed basins and traps would be  
23 removed once the tributary areas are stabilized.  
24 And I guess I'm wondering what your definition of  
25 stabilized is. I'm wondering, I guess, one

1 question is, how do you remove them? Are you just  
2 talking about maybe not maintaining them? And if  
3 that's the case, why? What's the harm in leaving  
4 them there? I think we've probably all seen sites  
5 where there's nice grass growing and you get a  
6 storm and it washes a lot of the soil and grass  
7 and whatever because the flow is just too much and  
8 you would need something to collect the sediment.  
9 So I'm wondering why you would -- some of these  
10 look like they'd be in areas where there would be  
11 no harm in leaving them, and I'm wondering why  
12 they would propose to remove them, whatever that  
13 means?

14 THE WITNESS (Vitaliano): The intent is  
15 to remove them. Basically once the site is  
16 stabilized with ground cover, we wouldn't  
17 anticipate having that need to collect. We  
18 wouldn't have sediment transport, so we wouldn't  
19 see the need to basically have a basin to collect  
20 that. These areas, a lot of these areas such as  
21 the one that we were just talking about, are areas  
22 that will be used with panels. There will be  
23 panels in those locations in some of these. So it  
24 really is a matter of once we establish that  
25 vegetation, we don't feel that there will be the

1 threat of sediment transport to these basins and  
2 traps.

3 MR. HARDER: Okay. Thank you.

4 MR. MERCIER: For the final ground  
5 cover in the solar field area, what is that mix,  
6 is it low-mow mix, or grass?

7 THE WITNESS (Peterson): Yeah, we're  
8 actually still looking at that. The soils vary  
9 across the site, much of the land being droughty,  
10 and we'd be looking at a mix that would be  
11 suitable for soils that are droughty, a low-mow  
12 mix or a native grass, a warm season grass mix in  
13 those areas potentially. We're also looking at  
14 cool season grasses. There are other soils that  
15 are well drained, but not as droughty where a mix  
16 of cool season grasses and clover may be suitable,  
17 but certainly we don't want to introduce grasses  
18 that will need frequent maintenance or large  
19 inputs of nutrients.

20 MR. MERCIER: Okay. Because I did see  
21 that you were hoping to mow this once a year, the  
22 solar field, once the grass is established. Is  
23 that right?

24 THE WITNESS (Kenney): I would say  
25 we're not hoping to mow it. I'd say at least once

1 a year. It will be mowed more, if necessary.

2 MR. MERCIER: Okay. Because when I  
3 look at the low-mow grass, I think of low-growth  
4 grass. So nothing is really going to establish if  
5 it's really poor soils or -- how confident are you  
6 the root mass is going to establish after you  
7 install the solar panels and then throw the seed  
8 down? And how much is it going to take before  
9 there's some good absorption to prevent runoff off  
10 the site I guess is my question?

11 THE WITNESS (Moberg): So the site will  
12 be hydroseeded. So hydroseeding includes a  
13 mixture of seed mix and chopped fiber, sometimes  
14 green die also. That's why it looks green.  
15 Right? But that chopped fiber includes tackifier,  
16 and that causes it all to sort of stick together  
17 to the ground. And so the seed mixture, any seed  
18 mixture you would use to establish a grass cover  
19 on any construction site, would include quickly  
20 germinating species like annual rye. I mean,  
21 that's pretty much the most common seed that's  
22 used on construction sites to get cover going. It  
23 will even germinate in the winter, if it's not too  
24 cold. If you get a sunny day and the ground is  
25 not frozen, you can still get annual rye to sprout

1 in the winter. We're not counting on that, but it  
2 could happen. We're expecting that we'll be  
3 following the time of year restrictions associated  
4 with the stormwater general permit. But the seed  
5 mixture would include, like I said, probably  
6 annual rye, and then whatever other species that  
7 we ultimately want to have growing on the site.

8 Does that answer your question?

9 MR. MERCIER: I assume so. I guess --  
10 yes.

11 THE WITNESS (Moberg): Okay.

12 MR. MERCIER: For areas under the  
13 panels, how are you going to get grass to grow if  
14 there's not enough sunlight throughout the day to  
15 cause it -- there are areas that grow more quickly  
16 than underneath the panels. So what can be done  
17 about that situation?

18 THE WITNESS (Moberg): I think one of  
19 our interrogatory responses indicated that we were  
20 expecting to seed this site before installing the  
21 project. So, in essence, if you go out there  
22 now -- we were out there today -- there's an awful  
23 lot of disturbed soil on the site right now and,  
24 you know, perhaps there will be another crop  
25 planted this year, but maybe not. And that's sort

1 of the general condition of this site as it occurs  
2 presently. So for us it's in our best advantage  
3 to get a permanent or nearly permanent cover crop  
4 on that site as soon as possible so that we're  
5 not, you know, mired down in the mud when we're  
6 trying to build this thing.

7 And so, you know, we expect that the  
8 seed mix will include a variety of seeds that, you  
9 know, some will compete better in shady locations,  
10 and others will compete better in sunny locations.  
11 So, you know, and realistically it's not going to  
12 be like the dark side of the moon under those  
13 panels. There will be incidental light that will  
14 make it to the ground from both the north and the  
15 south sides. So sure, it's not going to be  
16 brilliant sunlight hitting the ground in all  
17 areas. But any gardener knows, the bane of the  
18 gardener's existence is dry shade. We'll have  
19 some of that. But there's a lot of seed mixes and  
20 other plants that are, you know, they naturally  
21 select for those conditions.

22 MR. MERCIER: Okay. You had just  
23 mentioned you might plant before heavy  
24 construction. But was it really a concern of  
25 vehicles driving on it and rutting the soil and

1 killing the grass in certain areas and causing  
2 channelization? Could that be a problem?

3 THE WITNESS (Moberg): It's definitely  
4 a possibility, you know, and it would be equally  
5 possible that those ruts would occur if we didn't  
6 seed ahead of time. So we feel like, you know,  
7 it's the best insurance for us to stabilize the  
8 site before we start. And if we need to touch it  
9 up afterwards or broadcast a whole new seed  
10 application over the whole site, that's what we  
11 need to do, and that's what will happen.

12 MR. MERCIER: Thank you. Going back to  
13 sheet 5.2, we talked about the sediment trap and  
14 that weird grading area. I was looking back at  
15 the plan 3.2, and it essentially shows rows of  
16 panels on that graded area, even where the trap  
17 is. So I guess my question is, after you  
18 hydroseed and try to get some grass established,  
19 now you have rows of panels running east-west and  
20 the drainage area going a little bit to the  
21 north-east, so when it rains are you concerned  
22 about large amounts of water coming off that drip  
23 edge and then falling along the drip edge and then  
24 falling downhill into the brook? I mean, I don't  
25 see any post-construction control for that area.

1 So would a post-construction basin of some sort be  
2 beneficial or be required or --

3 THE WITNESS (Vitaliano): We have a  
4 vegetative strip on the other side of the wall.  
5 It's something we'll look at in more detail, but  
6 the intent was that at that point, as I mentioned,  
7 when we're more stabilized that area that  
8 potentially could have sediment gets smaller and  
9 smaller as we work our way closer to the road, and  
10 then there's a vegetative strip on the other side  
11 of the road to stop pollutants before they get to  
12 the wetlands.

13 MR. MERCIER: All right. So the runoff  
14 would -- there's many roads there, but going down  
15 that down slope I was just talking about, the  
16 runoff could channelize and hit the road. And so  
17 the road acts as a barrier, is that what you  
18 stated, thinking of, you know, a heavy rainstorm?

19 THE WITNESS (Vitaliano): Yeah. What  
20 we tried to do is not have points of concentration  
21 with the grading as it approaches the road. So we  
22 tried to spread out the contours so that the road  
23 itself does act more as a level spreader. And  
24 then also there is the wooded area between the  
25 road and the wetland that would trap pollutants as

1 well. And also with the road, the road will  
2 provide some sediment collection because it's  
3 stone.

4 MR. MERCIER: I'm just looking at the  
5 contours. It just looks like -- it's kind of like  
6 a circle, everything is being concentrated right  
7 into one spot, and then it's going to discharge.

8 THE WITNESS (Vitaliano): Yeah, I think  
9 the scale -- I'm sorry.

10 MR. MERCIER: That was my only concern,  
11 whether that was examined in detail.

12 THE WITNESS (Vitaliano): Right.  
13 You're correct. And that is an area that we  
14 focused on. We noticed that as well, obviously.  
15 It's really the scale of the plan is a little  
16 deceiving. That area basically where that 242  
17 contour is, is about 50 feet wide. So it isn't  
18 concentrating to a 10-foot wide swale or anything  
19 like that. It's still a 50-foot wide dispersion  
20 area.

21 THE WITNESS (Moberg): I think one of  
22 the things that Paul and I discussed and struggled  
23 with early on when we were developing this grading  
24 was to actually broaden out areas of existing  
25 channelization where the fields are directing

1 runoff to like, you know, currently there's 26 or  
2 more acres all draining to one point. And we  
3 actually took this opportunity to spread that out  
4 over a larger area to try to avoid concentrating  
5 the runoff to one design point. Because it is a  
6 large area, and that was immediately a concern of  
7 mine, you know, where we're disturbing this area,  
8 the brook is right there 100 or so feet away, and  
9 we wanted to make sure that we were not creating  
10 a, you know, challenging situation to manage  
11 either during construction or after construction.

12 THE CHAIRMAN: Mr. Harder has a  
13 follow-up.

14 MR. HARDER: Following up on this --  
15 maybe you don't know the answer to this now, but  
16 you'd have to get back to us -- do you know how  
17 much power generation you would lose if we said  
18 that you had to keep all the sediment basins? And  
19 I don't know. I guess I don't want to say that I  
20 could sit here and say absolutely all of them  
21 should be retained, but on the other hand, going  
22 to the other extreme and saying you're going to  
23 eliminate all of them just doesn't make sense to  
24 me. And so I guess obviously I assume that would  
25 be the primary issue for you folks would be

1 whatever loss of power generation you'd realize.

2 And so I'm wondering how much that would be?

3 THE WITNESS (Moberg): I think we don't  
4 know how much we would lose if we kept those  
5 basins and we were sure that it precluded the use  
6 of that area for any kind of detention. So I  
7 guess can we take that as like a data request or  
8 something and get back to you with some more  
9 information on that?

10 MR. HARDER: Sure. Thank you.

11 THE CHAIRMAN: And another follow-up.

12 Mr. Hannon.

13 MR. HANNON: Thank you. Just to follow  
14 up on what was being discussed a little earlier  
15 about the grasses and things of that nature. One  
16 of the things that you state in the application  
17 under project benefits is maintain soil fertility  
18 by including species such as alfalfa and white  
19 clover that will fix atmospheric nitrogen and  
20 help, but yet I haven't heard anybody talk about  
21 any of that stuff. You're talking about just  
22 using grass. And so can you please provide a  
23 little more detail on that? Because I think  
24 that's one of the issues that surrounds this  
25 project.

1                   THE WITNESS (Peterson): Yeah. We  
2 mentioned legumes and clover and, you know,  
3 there's many native species, as well as cultivated  
4 species, that fix nitrogen. Some of the native  
5 ones for dry sites would be white sweet clover,  
6 *Melilotus*. That wasn't listed in the response,  
7 but that would be something that would be within a  
8 native dry seed mix. In those areas where the  
9 soils have -- they're well drained and have an  
10 adequate moisture holding capacity, species like  
11 red and white clover could be planted, along with  
12 the grasses.

13                   You know, the nitrogen fixing there  
14 helps support the grass growth compared to an  
15 agriculture system that's tilled where the  
16 nutrients are taken off the site with each  
17 harvest. Grasslands very tightly cycle nutrients,  
18 and the rooting depths are considerably greater  
19 with some native grasses, and that's why they're  
20 more suitable for the dryer sites. You know, the  
21 cover and the richness of some of the cool season  
22 grasses provides a quicker cover on some of the  
23 more fertile sites.

24                   We still need to -- we've done some  
25 initial soil testing and to look at amendments for

1 getting these areas started, but surely we look to  
2 use a species that will fix nitrogen to minimize  
3 any need for inputs in the future.

4 MR. HANNON: Okay. Thank you.

5 MR. MERCIER: A quick question on  
6 Exhibit L. That was the stormwater analysis. I  
7 just want to confirm that you used a, for the  
8 modeling, a 24-hour rain event, like a two-year, a  
9 five-year -- excuse me, 2, 10, 25 and 100-year  
10 rain events over a 24-hour period. Is that  
11 correct?

12 THE WITNESS (Vitaliano): I was hoping  
13 to find more specific data type, but yes, that is  
14 standard, and that is what we did. I was hoping  
15 to point it out in the table. If you give me a  
16 moment, I can. But yes --

17 MR. MERCIER: That's okay. I just want  
18 to know was there any other type of modeling done  
19 for like short duration, high rainfall events  
20 where you get more than an inch an hour?

21 THE WITNESS (Vitaliano): No.

22 MR. MERCIER: Is that not typically  
23 done?

24 THE WITNESS (Vitaliano): I've never  
25 been asked to do that before. I can say that.

1                   MR. MERCIER: Now, is this analysis, is  
2 this suitable for the Deep's general permit  
3 requirements?

4                   THE WITNESS (Vitaliano): We believe it  
5 is. It would need to be supplemented with some  
6 other information.

7                   MR. MERCIER: Right. I guess I'll  
8 rephrase that. Just stating the 24-hour rain  
9 events, is that what they usually use to design  
10 stormwater features?

11                  THE WITNESS (Vitaliano): Yes, it is.

12                  MR. MERCIER: Okay. Thank you.

13                  THE CHAIRMAN: Mr. Silvestri has a  
14 follow-up.

15                  MR. SILVESTRI: Just a follow-up to the  
16 24-hour thing. We've seen very recently in  
17 Connecticut and Northern Connecticut and Southern  
18 Massachusetts, you know, four to five inches of  
19 rain in a very, very short period of time. And my  
20 concern is that these events happen more  
21 frequently now than just, oh, it's a one  
22 occurrence. So I'm looking at the modeling,  
23 again, that was done, and it's only based on 24.  
24 I don't think it goes far enough because of the  
25 deluge events that we have been getting. So I'd

1 like to see that considered both for construction  
2 and operation of the project, should it be  
3 approved, that we really look at deluge and see  
4 what type of impact because we have so much  
5 acreage that's there.

6                   The related question I have on that is  
7 when you look at the Exhibit O, and it's page 16  
8 that I'm referencing in specific, it says, "For  
9 storms that end on a weekend, holiday or other  
10 time after normal working hours, an inspection is  
11 required within 24 hours only for storms that  
12 equal or exceed 0.5 inches." And that's a quote  
13 right out of page 16.

14                  So my concern is that in a deluge event  
15 that occurs during a weekend precipitation event,  
16 the inspection will not happen according to that  
17 statement for perhaps 24 hours later, and a lot of  
18 damage could occur without sufficiently timed  
19 inspections and response. So I'd like you to  
20 consider that as well as the deluge issues as to  
21 when you really need to go out and inspect these  
22 to make sure we don't have any issues.

23                  THE WITNESS (Moberg): If I could just  
24 give a partial response to that at this time?  
25 When we're conducting inspections, Jeff and I, and

1 Paul, we actually have multiple sites we're  
2 monitoring on an ongoing basis, and it's customary  
3 for us to be watching the weather for a couple of  
4 reasons. One, we want to make sure that the sites  
5 are prepared in advance of a deluge like we've  
6 been experiencing. So the best defense is a good  
7 offense. Right? And then I guess the other side  
8 of that is more mercenary from our perspective.  
9 If we have to go out twice in one week, it's more  
10 resources, and it may not actually be consistent  
11 with the budget for these projects, not this one,  
12 for instance, but other times it's --

13 So we try to plan ahead and also make  
14 sure that the sites are, you know, that there is  
15 adequate measures in place. We have a standard  
16 operating procedure that we use where we never  
17 wait until the end of the week to do an  
18 inspection. It's always on Monday, Tuesday or  
19 Wednesday so that the contractor then has an  
20 opportunity to make corrective actions before the  
21 weekend so you're not sort of scrambling around as  
22 an afterthought trying to be prepared. So but we  
23 will certainly look at modeling those events that  
24 you asked for.

25 MR. SILVESTRI: There's an old

1 commercial that's out there dealing with  
2 automotive oil filters. And the way the  
3 commercial goes is, you can pay me now, or you can  
4 pay me later. And again, getting back to your  
5 comment on the budget, if you do something  
6 proactively, you can stay on top of it, it's  
7 probably much less expensive than if something  
8 happens and you've got to go and repair the  
9 damage.

10 THE WITNESS (Moberg): Absolutely.

11 MR. SILVESTRI: Thank you, Mr.  
12 Chairman.

13 THE CHAIRMAN: I think Mr. Hannon also  
14 had a follow-up.

15 MR. HANNON: Thank you, Mr. Chairman.

16 In dealing with the hydrologic  
17 analysis, you talk about the pre and  
18 post-development hydrologic models indicate that  
19 the peak runoff rates from the site will be  
20 reduced at all design points. My take from what  
21 I've seen is many people don't particularly care  
22 about when the peak flow hits. I understand the  
23 numbers are lower. But have you done the  
24 calculations to determine how much water is coming  
25 off the site, and whether or not there will be

1 more water in total coming off the site?

2 THE WITNESS (Vitaliano): That volume  
3 calc -- basically there's two things you look at.  
4 One is peak rate runoff, which you're correct,  
5 that's what most people focus on, and not everyone  
6 asks about the volume. That volume is in our  
7 data. It's not something that was summarized in  
8 the body of the report because it's not a common  
9 question. It's a good one, but it's not a common  
10 one, so it wasn't in the report. That data is  
11 there. I would need some time to go through that  
12 to look through those numbers and provide an  
13 answer to that.

14 MR. HANNON: That would be appreciated  
15 because that's more of the neighbors' question --

16 THE WITNESS (Vitaliano): Sure.

17 MR. HANNON: -- in all honesty. Thank  
18 you.

19 MR. MERCIER: Just to follow up on Mr.  
20 Silvestri's comment. Is it uncommon even to go  
21 out during a high intensity storm and actually  
22 during the storm look at the runoff erosion  
23 controls during construction? And do you think  
24 that would be beneficial so if there's a breach  
25 right then and there during a two, three,

1 four-inch thunderstorm someone could actually do  
2 something?

3 THE WITNESS (Moberg): I think if you  
4 had resources available to try to make a  
5 difference, then yes it would be worthwhile. If  
6 an inspector was going out and inspecting, they  
7 would see what was happening, but they may be  
8 inadequately prepared to affect a change.

9 So I think what Aileen just asked me  
10 was, you know, why can't we make them go out on  
11 the weekend. And we can. That's in our ability  
12 to require that of the contractor providing the  
13 stormwater inspection services to go out during  
14 the storm.

15 MR. MERCIER: Is there anybody else on  
16 site during construction that's qualified to look  
17 at the stormwater controls, or is it just the  
18 inspector --

19 THE COURT REPORTER: On site during?

20 MR. MERCIER: Construction activities.  
21 Is there anybody qualified to actually inspect the  
22 controls, or is that only your task?

23 THE WITNESS (Moberg): No, we would  
24 anticipate -- and I think this was in one of our  
25 interrogatory responses -- we would anticipate

1 that there would be a number of individuals that  
2 would be trained to perform inspections. So one  
3 of the things that we expect to do as part of our  
4 contractor training is to provide compliance  
5 training to the contractors and all the personnel,  
6 letting them know what all of the concerns are,  
7 all of our permit conditions, all of our  
8 mitigation commitments, and some training about  
9 how to observe whether erosion controls are  
10 functioning effectively or if they need to be  
11 repaired. So that kind of inspection could happen  
12 on a daily basis at the most basic level with the  
13 construction workers.

14 The construction contractor can also  
15 have an individual whose job it is to inspect  
16 frequently. It's been our experience, or my  
17 experience on other sites, that that is sometimes  
18 a conflict of interest. So we would expect that  
19 the contractor would hire an independent inspector  
20 to perform those inspections and that the owner,  
21 Deepwater, would have their own representative  
22 that would oversee the third-party inspector or  
23 the contractor's independently hired consultant  
24 inspector. So there would be, I think,  
25 opportunities at a number of levels to be

1 performing inspections, but at a minimum there  
2 would be specifically trained professionals who  
3 routinely do this kind of inspection overseeing  
4 the big picture.

5 THE CHAIRMAN: Mr. Silvestri.

6 MR. SILVESTRI: I want to go back to  
7 your choice of words.

8 THE WITNESS (Moberg): Okay.

9 MR. SILVESTRI: When you said that you  
10 would expect that the contractor would do X, Y and  
11 Z, would you mandate that the contractor do X, Y  
12 and Z?

13 THE WITNESS (Moberg): Yes.

14 THE WITNESS (Kenney): Deepwater would  
15 require as a stipulation of the construction  
16 procurement that there be a third-party inspector  
17 hired to oversee stormwater. And we would make a  
18 determination -- it hasn't been made yet --  
19 whether we would hire that person directly, or we  
20 would allow the contractor to hire it and they  
21 would report to us.

22 MR. SILVESTRI: But it would be done?

23 THE WITNESS (Kenney): Yes.

24 MR. SILVESTRI: Thank you.

25 MR. MERCIER: Just out of curiosity, is

1 there Saturday work on this project, is that  
2 anticipated, Saturday or Sunday for that matter?

3 THE WITNESS (Kenney): I think it  
4 hasn't been determined yet whether or not there  
5 would be work on the weekends on this project.

6 MR. MERCIER: I'm going to flip to  
7 Petition Exhibit D. Towards the middle there's  
8 several slides that show modifications to the  
9 project based on area neighborhood concerns. So I  
10 just had a couple of questions on these panels.  
11 I'll call them panels.

12 For the first one it says Hoskins Road  
13 original proposal, and then you flip the page and  
14 it shows the key changes. Looking at the key  
15 changes, I see you moved it away from the road.  
16 What was the reason for the shift away from the  
17 road? What was the specific concern?

18 THE WITNESS (Kenney): So we heard from  
19 residents at the meeting that they would like us  
20 to maintain some of the visibility for the  
21 existing landscape. When they drive down County  
22 and Hoskins Road, the view, that they'd like to  
23 see some of the existing field. And with that  
24 change we were also able to keep some of the  
25 wooded area. So we were able to move the panels,

1 the project back, which helped with the  
2 visibility, and it also allowed us to keep wooded  
3 area.

4                   The other key change we made there was  
5 on the northern side we moved the project limits  
6 north, which allowed us to keep both of the  
7 existing barns that are along Hoskins Road.

8                   MR. MERCIER: I guess looking at the  
9 panels, there's a house surrounded by some  
10 agricultural fields and your panels are on the  
11 east and south sides. Is that 85 Hoskins? Does  
12 anybody know that address offhand?

13                  THE WITNESS (Kenney): I believe it is,  
14 yes.

15                  MR. MERCIER: Okay. Is there any  
16 opportunity to move the panels south of the house  
17 back over to where the road is? I mean, is that  
18 something you would consider if it helped any  
19 concerns with 85 Hoskins? You know, because  
20 basically there's panels on two sides of that  
21 house, and so perhaps it's beneficial to get away  
22 from this property and put it back towards the  
23 road.

24                  THE WITNESS (Kenney): We can review  
25 that.

1                   MR. MERCIER: Also, looking at these  
2 changes, I notice where it says key changes to the  
3 second panel, where it says County Road, there's a  
4 new access coming in near an abutting property.  
5 Is there any reason why that was placed right at  
6 that location?

7                   THE WITNESS (Kenney): That's  
8 actually -- there's an existing access point there  
9 that's currently used as an agricultural access  
10 point. That would be the same access point. We  
11 did, after discussions with the landowners, in the  
12 actual petition we have shifted the construction  
13 access point to in between the two barns, and then  
14 we would just use that existing access point  
15 during operations.

16                  MR. MERCIER: I was just trying to  
17 figure out on all these various maps which ones we  
18 use for construction. So you just clarified that  
19 for me. So between the two barns for this  
20 particular area going northward, they'll use the  
21 existing access there, kind of where we met today  
22 at the field review?

23                  THE WITNESS (Kenney): Correct.

24                  MR. MERCIER: For construction.

25                  THE WITNESS (Kenney): Yeah. And I can

1 actually give a better reference to a figure that  
2 shows that for the record. In the project layout  
3 map, which is in Exhibit B --

4 MR. MERCIER: Yes, I have it.

5 THE WITNESS (Kenney): -- in that  
6 you'll see that there is a proposed road that is  
7 located where the blue dots are, which are the  
8 potential cable route.

9 MR. MERCIER: Yes.

10 THE WITNESS (Kenney): That road there  
11 would be used for construction purposes. The  
12 existing agricultural access point to the  
13 northwest would not be used during construction.  
14 It would only be used during operation.

15 MR. MERCIER: Thank you very much.

16 Now, for the proposed layout here on  
17 the south field -- that's the field we just talked  
18 about, 85 Hoskins -- the proposed layout, what  
19 type of fencing or landscaping is there with  
20 people driving by? I understand you moved it back  
21 50 feet or so. Was there anything proposed so  
22 people driving by -- are they going to see panels?  
23 Are they going to see a fence?

24 THE WITNESS (Kenney): So we would  
25 refer to the visibility exhibit. And I'm going to

1 turn it over to Gordon Perkins to walk us through  
2 what we've proposed there. But that exhibit is  
3 Exhibit G where there is a rendering and some  
4 discussion about that.

5 THE WITNESS (Perkins): Can you repeat  
6 the exact location again, please?

7 MR. MERCIER: Okay. Thank you. I see  
8 it actually. Thank you for pointing that out.

9 So, looking at this, I guess all I'm  
10 asking is, you know, people are going to see a  
11 fence and some bushes, but why not just move it  
12 closer to the road and try to remove some of the  
13 panels behind that person's home.

14 I guess I'll flip on through Exhibit D  
15 now. There's Berkshire Way, key changes. I don't  
16 really have any questions on that.

17 The next one, it's called Litchfield  
18 Drive, original proposal, and key changes. I have  
19 a couple of questions on that. I'm looking at the  
20 key changes, and I'm looking at the County Road  
21 access, and it kind of shows a diagonal line going  
22 up through some woods. Is that the proper  
23 alignment of the construction access?

24 THE WITNESS (Moberg): So I think the  
25 purpose of this image that we showed at the public

1 meeting in June was to, I think, illustrate that  
2 construction traffic would be split between two  
3 access points. So there had been a lot of  
4 concerns raised by abutters early on that all of  
5 the construction traffic to the north field would  
6 go up the existing path along Munnisunk Brook. So  
7 we wanted to try to make people understand that  
8 there would be a split.

9 MR. MERCIER: I understand. I'm just  
10 asking, is this depiction correct?

11 THE WITNESS (Kenney): I would say that  
12 that depiction is illustrative, and the figure in  
13 the project layout is the more accurate depiction  
14 of where the actual road would be.

15 MR. MERCIER: Okay. So on Litchfield  
16 Drive it kind of runs behind, I don't know,  
17 about --

18 THE WITNESS (Kenney): Correct.

19 MR. MERCIER: -- ten houses or so?

20 THE WITNESS (Kenney): Correct.

21 MR. MERCIER: Now, is there any problem  
22 with just using the Hoskins Road entrance to  
23 access the entire site for construction?

24 THE WITNESS (Moberg): It focuses a lot  
25 of traffic on the wetland crossing that is between

1 the sort of central parcels and that larger  
2 northern parcel. And it basically just pushes the  
3 construction traffic from one neighborhood to a  
4 different neighborhood.

5 THE WITNESS (Kenney): The existing  
6 access point behind Litchfield Drive is an  
7 existing agricultural road that is used on a daily  
8 basis.

9 MR. MERCIER: I understand that. I'm  
10 just asking whether for this project can you just  
11 use the Hoskins Road? I mean, would you agree  
12 it's less residences where this road would go by  
13 than the County Road location based on the actual  
14 layout, not the map?

15 THE WITNESS (Moberg): Yeah, I would  
16 agree that there would be less traffic.

17 MR. MERCIER: And you're talking about  
18 the brook crossing. Are you going to upgrade that  
19 anyway? What's there at the brook crossing you're  
20 concerned about? What kind of crossing is it?

21 THE WITNESS (Kenney): There's an  
22 existing road there that we would utilize.  
23 There's no issue in terms of we're going to avoid  
24 any impacts to wetlands there. I think that our  
25 rationale here was to spread the construction

1 traffic over the existing agricultural road and  
2 utilize the road off of Hoskins, being mindful of  
3 the potential that road with Hoskins and County  
4 there's line of sight concerns there as well for  
5 safety. We feel like maintaining the use of the  
6 existing road behind Litchfield Drive is prudent  
7 to efficiency and safety during construction.

8 MR. MERCIER: Okay. Thank you.

9 The next panel I'd like to talk about  
10 was Howard Street, which is the next one. It said  
11 original proposal, then it was eliminated under  
12 key changes. Can you just explain what the  
13 concerns there were as to why that particular area  
14 was eliminated for consideration?

15 THE WITNESS (Kenney): It was an  
16 elevated area, the knoll, that Howard Street area  
17 is elevated. And when we did -- originally we had  
18 proposed to put project facilities there.

19 However, when we completed some viewshed  
20 assessment, the facilities would be elevated and  
21 would be very dominant over the houses, and we  
22 just determined that it would be an impact that it  
23 would just change -- it would be very dominant and  
24 high due to elevation.

25 MR. MERCIER: Okay. So potentially the

1 people on the end of the cul-de-sac there, they're  
2 going to look through the trees of their yards and  
3 the small buffer area, then they're going to see a  
4 fence or something up high?

5 THE WITNESS (Kenney): It would be  
6 elevated.

7 MR. MERCIER: Right. I understand it's  
8 elevated. Was there any thought of moving it  
9 towards the south, towards the CL&P easement? Is  
10 that your property to the south?

11 THE WITNESS (Kenney): So the property  
12 that we will be purchasing, we do not have the  
13 parcel to the south. So we would be unable to  
14 make that change.

15 MR. MERCIER: I'm just trying to find  
16 locations where you can put some more panels and  
17 maybe lessen the impact on someone else.

18 THE WITNESS (Kenney): So we went  
19 through this process working closely with the  
20 town. Certainly, you know, I think that it's --  
21 we tried to minimize the impacts, but that was one  
22 where we moved the project facility.

23 MR. MERCIER: I guess I'll turn over to  
24 the Knollwood Circle, which is a couple panels  
25 down. Knollwood Circle, original proposal number

1 2, Knollwood Circle 2, key changes. I was just  
2 looking at the removal of the panels. I  
3 understand why you did that along Knollwood Drive,  
4 the abutters there. Was there any thought of  
5 pushing it, get extra panels in the road towards  
6 the west side along the existing edge of the  
7 agricultural field where there's already some kind  
8 of dirt road there?

9 THE WITNESS (Moberg): That was within  
10 the buffer to the wetland. We were trying to  
11 avoid that.

12 MR. MERCIER: Is that a 200 or the  
13 100-foot buffer?

14 THE WITNESS (Moberg): I'm not sure  
15 because I don't have the site plans in front of  
16 me, but I think we did consider that, and we were  
17 trying to observe the buffers.

18 THE WITNESS (Kenney): Let's see. So  
19 if you give us a minute, we can review that.

20 MR. MERCIER: Sure. I think it was  
21 within the 200. So that's why I was asking why  
22 not push it towards the 100. You're using 100  
23 elsewhere.

24 THE WITNESS (Kenney): We can review  
25 that.

1                   THE CHAIRMAN: Mr. Silvestri has a  
2 follow-up.

3                   MR. SILVESTRI: Thank you,  
4 Mr. Chairman.

5                   With the proposed changes that Bob just  
6 looked at with you folks, Knollwood Circle, Howard  
7 Street, Hoskins Road and others, what's the impact  
8 to the overall megawatts of the project? Does it  
9 get reduced from 26.4?

10                  THE WITNESS (Kenney): So these slides  
11 are from a presentation that we gave in June in  
12 response to a meeting that we had had earlier in  
13 the spring. So the project -- the petition that  
14 is presented incorporates all of these changes.  
15 So these changes, after we've made these changes  
16 we're at 26.4 megawatts.

17                  MR. SILVESTRI: Thank you for the  
18 clarification.

19                  MR. MERCIER: Looking at the plan, I  
20 saw that the road -- post-construction there's a  
21 20-foot road, and there was a 4-foot wood chip  
22 apron, but I didn't realize what it was. Is that  
23 the walking path that was proposed for this  
24 project?

25                  THE WITNESS (Moberg): Yes.

1                   MR. MERCIER: And what fields --

2                   THE WITNESS (Moberg): That's the  
3 walking path.

4                   MR. MERCIER: Is it around every field,  
5 the north field or middle field? I didn't really  
6 determine where exactly this walking path would  
7 originate and what field it would encircle.

8                   THE WITNESS (Moberg): It doesn't  
9 really encircle any of the fields. It's generally  
10 providing access along the east and the west sides  
11 of the project. And we also gave consideration to  
12 the public being able to access that path from a  
13 public right-of-way. But in some cases we were  
14 just not able to provide the path all the way  
15 around the project because of like on that  
16 northern most area, for instance, we're already on  
17 the back of a slope, and in order to provide the  
18 path, we'd be doing more grading in that area, so  
19 we didn't -- we're not providing it there.

20                   MR. MERCIER: You said a public  
21 right-of-way. Are you talking about --

22                   THE WITNESS (Moberg): I meant streets.

23                   MR. MERCIER: Yes. Are you talking  
24 about County Road, the entrance there along  
25 Munnisunk Brook, or is there another location?

1 How are people going to get in there, I guess, is  
2 my question?

3 THE WITNESS (Kenney): There's a couple  
4 of different access points from neighborhood  
5 backyards.

6 MR. MERCIER: Okay. Neighborhood  
7 backyards, through someone's backyard?

8 THE WITNESS (Kenney): Yeah. And if  
9 you look at, for example, Berkshire Way, there is  
10 an existing easement that goes -- that's an access  
11 point for the Berkshire Way neighborhood where  
12 they walk through. So they typically walk through  
13 from neighborhoods, from either their own  
14 backyards, or within neighborhoods there's some  
15 access points.

16 MR. MERCIER: Okay. I see what you're  
17 saying. So some of the cul-de-sacs were probably  
18 built so the road could be extended in the future,  
19 there's a public right-of-way through there. I  
20 think that's what you're saying.

21 THE WITNESS (Kenney): Yes, and --

22 MR. MERCIER: And there's probably an  
23 existing dirt path, or something, that leads down  
24 to the fields. Then at the field when you  
25 complete the project you're going build these wood

1 chip paths. Is Deepwater going to maintain these  
2 paths, or who's going to maintain the paths?

3 THE WITNESS (Kenney): The walking  
4 paths would be part of the project, so they would  
5 be -- they're something that when we met with the  
6 town that was something that they identified early  
7 on as a benefit that we could provide, and so it's  
8 something that we focused in on.

9 MR. MERCIER: Is there any concern  
10 about security or vandalism to your project from  
11 the paths?

12 THE WITNESS (Kenney): Well, so we  
13 would -- the security, we would still have to  
14 maintain the same security with or without the  
15 paths. I think vandalism is always a concern  
16 but --

17 MR. MERCIER: Right. I mean, it is  
18 more likely people are going to go down there now  
19 rather than just having an isolated field.

20 THE WITNESS (Kenney): Yeah. So, you  
21 know, the potential for vandalism is there. We  
22 will monitor the facility, but we don't see an  
23 elevated risk of concern.

24 MR. MERCIER: If someone gets injured  
25 on the path, how is emergency personnel going to

1 get down there? Is there a way they can get in  
2 there?

3 THE WITNESS (Moberg): The emergency  
4 personnel can drive in on the site access drive.  
5 These paths are outside of the fence where the  
6 road is on the inside of the fence. But there  
7 will be periodic gates in the fence. I think that  
8 it's a detail we could work out with the emergency  
9 responders, but essentially there is vehicular  
10 access to at least quite close.

11 MR. MERCIER: Different maps. Going to  
12 the site layout, Exhibit B, you've talked about  
13 gates. Can you repeat what you said? You said  
14 there's a main access from a public right-of-way  
15 say to the north field --

16 THE WITNESS (Moberg): Right.

17 MR. MERCIER: -- and there might be a  
18 gate or two. And then once you get up to the  
19 actual solar field, there would be your wood chip  
20 path, then a fence, and then an interior access  
21 road. Is that how it's arranged?

22 THE WITNESS (Moberg): That's correct.

23 MR. MERCIER: Thank you.

24 THE WITNESS (Moberg): The wood chip  
25 path is on the outside of the fence. The roadway

1 is on the inside of the fence.

2 THE WITNESS (Kenney): And in the areas  
3 where the wood chip path is located, we will work  
4 with first responders to determine how -- the  
5 frequency of the gates.

6 MR. MERCIER: Is it possible, assuming  
7 potentially there could be narrower perimeter  
8 access roads around your solar field, you know,  
9 you talked about you're going to use 20 feet, but  
10 maybe it could be narrower, if you narrowed up the  
11 perimeter access roads and got rid of the wood  
12 chip path, is it possible to extend some of the  
13 solar arrays so you can remove some solar arrays  
14 around someone's home, or is that just some  
15 minuscule amount, in your opinion, that it might  
16 not matter, the width of the road and the path?

17 THE WITNESS (Kenney): It's not  
18 minuscule. When we planned the project, we  
19 planned for the walking path. So if we were to  
20 look into that, change it, we could reduce panels  
21 in other locations.

22 MR. MERCIER: Okay. We briefly talked  
23 about this at the field review, so I'd just like  
24 to have it on the record. At Hoskins Road there  
25 was the two barns where we met today. And can you

1 just repeat what Deepwater intends to do with the  
2 barns, if you know at this point?

3 THE WITNESS (Kenney): So the two barns  
4 that are on Hoskins Road will remain. In terms of  
5 preservation, we are consulting with the  
6 Connecticut State Historic Preservation Office  
7 right now, and they will be part of the property  
8 that is purchased. So we will determine the  
9 course of action in consult with the SHPO.

10 MR. MERCIER: What's the condition of  
11 the barns? I guess, looking at I'll call it the  
12 west barn, that looks like it had some -- I  
13 looked. It looked like it had some vegetation  
14 growing on the side of it, and there might have  
15 been some roof issues. Would you agree there's  
16 some serious roof issues with that west barn?

17 THE WITNESS (Kenney): The barns are in  
18 extreme disrepair.

19 MR. MERCIER: Is one of the barns  
20 salvageable, or are they both pretty much in a  
21 very decrepit state?

22 THE WITNESS (Kenney): We haven't had a  
23 professional opinion on whether they are  
24 salvageable yet, but I would say the one to the  
25 west is in worst shape than the one to the east.

1                   MR. MERCIER: Does SHPO want you to  
2 retain both, or would one suffice?

3                   THE WITNESS (Kenney): So our  
4 consultation with SHPO has surrounded the five  
5 barns that are on the property, three in the  
6 northern area of the site. SHPO has indicated  
7 that they would -- removal of the three barns in  
8 the northern area would be acceptable. They have  
9 asked that we make efforts to retain the two off  
10 of Hoskins. We haven't pushed the issue at all  
11 with them about, you know, potentially removing  
12 the ones off Hoskins.

13                  MR. MERCIER: If the barns were  
14 repaired to good condition, what use could they  
15 be? Is there any use? Agricultural use? Can  
16 anybody use these things for anything, or are they  
17 past that type of activity? Can you store  
18 equipment in there for your lawn mowers, anything  
19 of that nature?

20                  THE WITNESS (Kenney): At this point we  
21 have no plans to utilize the barns for anything  
22 related to the project.

23                  MR. MERCIER: If someone wanted to  
24 lease the barn, would you be receptive to that?

25                  THE WITNESS (Kenney): I suspect that

1 the barns would need a lot of improvements before  
2 they were ready for leasing.

3 MR. MERCIER: Thank you. I had in my  
4 notes we talked a little about walking paths.  
5 Then I saw something -- I forgot where in the  
6 application -- something about a school and Boy  
7 Scout involvement. I'm not sure what that was  
8 about. I think it was probably during the town  
9 outreach.

10 THE WITNESS (Kenney): I think in  
11 general when renewable energy projects are  
12 proposed in a community, it's seen as an  
13 opportunity to provide educational opportunities  
14 in the schools, and with local organizations like  
15 the Boy Scouts. So we're generally open to that.  
16 And that's something that we would commit to.

17 But another focus area is we've  
18 committed to a one-acre pollinator growth area.  
19 That could be an area for potential science study  
20 on the growth and the types of vegetation and the  
21 types of species that are in the area.

22 So we're open. We don't have any  
23 specific projects in mind, but we do find that  
24 it's a community benefit to have the renewable  
25 projects in the community for schools and for

1 organizations like the Boy Scouts.

2 MR. MERCIER: When we were at the field  
3 review today looking at the south field, the one  
4 opposite the barn, was that under production? Is  
5 that used right now for agricultural use? I could  
6 not tell.

7 THE WITNESS (Moberg): Last time I was  
8 out on that field, which was probably four weeks  
9 ago, there were some kind of melons growing on  
10 that field. Earlier in the season it had a  
11 different crop on it.

12 MR. MERCIER: Now, looking at the site  
13 layout again, if potentially we could -- maybe  
14 there's a chance to reconfigure some of the  
15 project and get some panels away from the 85  
16 Hoskins residents. That might open up some area  
17 of field not used for anything. Is it possible  
18 that could be leased to an area farmer, or  
19 something like that, to keep that small area in  
20 production, or is that where your model pollinator  
21 habitat is going?

22 THE WITNESS (Kenney): I think in terms  
23 of potential subleasing in the future, in land  
24 that we're not planning to use for the project,  
25 there's any number of options for that land. You

1 know, we're not particularly in the business of  
2 leasing for ag, but I think we would be open to  
3 discussions about what could be done with that  
4 land in terms of a commitment for future use. For  
5 agricultural purposes, and whether that's  
6 subleased to a farmer, or used by the local  
7 community, I think that there's a number of things  
8 that could be considered there.

9 MR. MERCIER: You mean like a community  
10 garden or something?

11 THE WITNESS (Kenney): Yes. I think  
12 that in the land that is owned within the parcel  
13 boundary where project facilities are not  
14 proposed, we have committed to that land to be  
15 open space, or remain forest, if it is forest. So  
16 we would be open to discussions about how to best  
17 benefit the community with that space.

18 MR. MERCIER: Your response just jogged  
19 my memory of something here. It actually is a  
20 response to the Department of Agriculture's  
21 questions. It was Response 4. It had to do with  
22 something about trying to enter into an agreement  
23 with the Department of Agriculture for an  
24 easement. Can you just explain? I didn't really  
25 understand the response.

1                   THE WITNESS (Kenney): Can you just  
2 point me to the --

3                   MR. MERCIER: It was the Department of  
4 Agriculture -- a response to the Department of  
5 Agriculture, Response Number 4. It had to do with  
6 a decommissioning plan and an attempt to restore  
7 the site. And I believe you offered the property  
8 with an easement or land right that would preclude  
9 future development on the properties. So can you  
10 just elaborate on that response? I don't really  
11 understand.

12                  THE WITNESS (Kenney): Sure. So one of  
13 the things that has come up quite frequently is  
14 what do we plan to do with this site after the  
15 project.

16                  MR. MERCIER: May I interject?

17                  THE WITNESS (Kenney): Yes.

18                  MR. MERCIER: Do you own the parcel, or  
19 it's an option to buy?

20                  THE WITNESS (Kenney): It's an option  
21 to buy.

22                  MR. MERCIER: Okay. That's what I  
23 didn't understand.

24                  THE WITNESS (Kenney): Yeah. It's an  
25 option to buy. So when we purchase the land, it

1 will be for use as a solar facility. And once  
2 we're done with the land, what would we do with  
3 it? We have made specific commitments throughout  
4 the application to try to enhance the future use  
5 for agricultural purposes. We did offer that at  
6 the end of the use as a solar facility that we  
7 would be willing to sign it over to a conservation  
8 easement, or some other mechanism that would allow  
9 for the land to be used for agricultural purposes  
10 only. That was made by our attorney. And I  
11 believe that, as presented in the interrogatory,  
12 it was declined.

13 MR. MERCIER: Okay. That was only  
14 declined through the Department of Agriculture.  
15 Maybe there could be another entity that might be  
16 interested in something of that nature. Would you  
17 consider that, I assume, an offer, a monetary  
18 offer?

19 THE WITNESS (Kenney): I think we  
20 remain committed to the offer that we made. At  
21 the end of the useful life of this project, we  
22 remain willing to put the land in some sort of an  
23 easement or other agreement to allow for future  
24 agricultural use only.

25 MR. MERCIER: Thank you.

1                   THE CHAIRMAN: Mr. Silvestri has a  
2 follow-up, and then I think I do.

3                   MR. SILVESTRI: Thank you, Mr.  
4 Chairman.

5                   As a follow-up to the discussion, and  
6 related to Section 7, which talks about the  
7 decommissioning, are you aware of any solar  
8 installations that have retired and then reverted  
9 the land back to agricultural production?

10                  THE WITNESS (Kenney): I am not. I  
11 think that most of the solar facilities that have  
12 been installed, the majority of them are still  
13 operating. We have taken care in our application  
14 to make design choices which would allow us to  
15 decommission and have the project used for  
16 agricultural. I referenced earlier our design  
17 choice to avoid the use of conduit in the roads so  
18 that the cable could be more easily removed. So  
19 we're planning for that. I think we think that  
20 with proper planning that the return to use for  
21 agriculture can be achieved.

22                  MR. SILVESTRI: But the concept to  
23 return to use after 25 years is theoretical?

24                  THE WITNESS (Kenney): I mean, we have  
25 a soil scientist here who can comment, but we see

1 no reason why it could not be returned to use, but  
2 I don't have a case study to show where it has  
3 been.

4 MR. SILVESTRI: That's what I was  
5 looking for, to say, okay, if we had something  
6 that was there for 25, 30 years, and we wanted to  
7 go back to agriculture, can it really happen.

8 THE WITNESS (Peterson): I don't have  
9 an example of a solar farm, but the USDA does  
10 operate the Conservation Reserve Program where  
11 they pay farmers to take land out of agriculture  
12 and put them into permanent grass cover, and those  
13 are typically for periods of five to ten years.  
14 They are looking at extending some of those  
15 leases. This is to periods approaching 20, 25  
16 years.

17 In response to some of the -- you know,  
18 you may have heard stories about return of the  
19 dust bowl in the midwest. So it's when these  
20 marginal lands, you know, are over intensively  
21 farmed. There is an actual program operating to  
22 take them out on a temporary basis.

23 MR. SILVESTRI: But going back to what  
24 you mentioned with the US --

25 THE WITNESS (Peterson): DA.

1                   MR. SILVESTRI: -- again, there it's  
2 still an open space. It's not being covered by  
3 anything. In this case it would be solar panels.  
4 So I think my point sticks that it's really still  
5 theoretical.

6                   THE CHAIRMAN: I guess my sort of  
7 follow-up would be we're talking 25 years. We may  
8 still have a great need for renewable energy. I  
9 mean, we can, I guess, say that it could revert  
10 back, and if you want to give them an easement,  
11 but in 20, 25 years there will be changes in  
12 agriculture, and there will be changes in energy.  
13 And I'm a little bit concerned about locking us in  
14 at this point, other than saying it could possibly  
15 be for agriculture. I mean, maybe in 25 years  
16 we'll be desperate to have more agricultural land,  
17 or maybe all grown in greenhouses. Well, I won't  
18 go on with it.

19                   Mr. Harder.

20                   We have several follow-ups. Go ahead.

21                   MR. HARDER: I think every solar  
22 application that we've considered there's always a  
23 point of discussion about 25 years down the road  
24 it could be the sites in most cases -- in many  
25 cases could revert to agricultural use or some

1 other use. And I assume that at least one of the  
2 factors, maybe the greatest factor in focusing on  
3 a 25-year period, or 20 years, or whatever, is the  
4 decrease in power production over that time. My  
5 understanding is there's a very small annual  
6 decrease. Is that true, or is 25 years just  
7 thrown out there because that's what -- that's a  
8 number that a lot of people like to use? I mean,  
9 what's the basis for the period of time you're  
10 talking about?

11 THE WITNESS (Grybowski): You're right,  
12 the panels do, and the equipment, obviously, like  
13 all electrical and mechanical equipment, does have  
14 a useful life, and over time that useful life, the  
15 resiliency of the equipment degrades over time.  
16 However, in a project like this, like other  
17 projects, there is always the opportunity to  
18 repower. So if a new technology comes along that  
19 allows you to put new panels in, you can extend  
20 the life of the project.

21 So for this project we don't -- we  
22 think that this is a -- it's not a permanent  
23 facility in the sense that it's not there forever,  
24 it does have a useful life. We wouldn't  
25 anticipate that useful life being in excess of 25

1 years, but it's not forever either.

2 With respect to the offer for an  
3 easement, this is something, along with many of  
4 the other choices that we've been discussing here  
5 about moving panels from one place or another,  
6 we've made a series of choices and a series of  
7 decisions trying to weigh several different  
8 factors. And with respect to the location of  
9 individual panels, we're very much open to  
10 considering other ways to weigh those factors,  
11 whether a walking path is a valuable thing. We  
12 heard from the community. We thought that at  
13 least some folks in the community valued a walking  
14 path, but that may not be the case for everyone in  
15 the community. So we're very open to those  
16 changes.

17 With respect to the future agricultural  
18 use of the property, I think one of the real  
19 factors that led us to make that offer -- and I do  
20 think it was a fairly extraordinary offer on our  
21 part as the developer -- to voluntarily agree to  
22 essentially give up the highest economic use of  
23 that land for a very long time, essentially  
24 forever, it was really our attempt to try to  
25 mitigate concerns both from the community and from

1 the Department of Agriculture about the loss of  
2 farmlands.

3 And that is an issue that is not just  
4 happening here in Connecticut, it's happening  
5 across the country, where oftentimes farmers are  
6 looking for new sources of revenue because their  
7 farming revenue is not what it once was, and in  
8 many cases they're turning to wind and solar. And  
9 in some cases state entities are questioning the  
10 decisions to give up farmland for other use.

11 What is interesting, I think, about  
12 this particular property, though, and something  
13 really important to keep in mind, is that, as  
14 Aileen pointed out at the beginning of the site  
15 tour, all of these parcels are zoned either  
16 residential or industrial today. So the current  
17 landowner who is in the business of developing  
18 land and selling it and developing other types of  
19 facilities has the right under current zoning to  
20 permanently change this land to create parking, to  
21 create a light manufacturing facility, to create  
22 lots of residential units. In our view, that is  
23 certainly a completely permanent change to this  
24 land.

25 And what we've tried to do is make the

1 point that a solar facility, because of its  
2 nature, because we can decommission it and get  
3 everything out of the ground, and we are willing  
4 to come up with the department -- work with the  
5 Council on a D&M plan that will help restore the  
6 soil, that we do think the soil can be returned to  
7 agricultural use. And while I don't think I've  
8 seen it before, I'm not sure I've ever heard a  
9 developer give up that right before.

10 So I admit that this might be something  
11 that's a little new, but we do think that this  
12 commitment that -- or the offer we've made  
13 demonstrates that the choice of the solar farm is  
14 a far more temporary choice than the development  
15 under existing zoning, because once you put a  
16 light manufacturing facility with a parking lot  
17 there, the fields will never come back. We do  
18 believe that solar is compatible with agricultural  
19 use in the long term, and so not only are we  
20 making that argument, but we've gone further to  
21 say we're willing to talk about creative ideas  
22 like some sort of conservation or agricultural  
23 easement in the future. And I don't have a model  
24 to show you, but it is the kind of creative thing  
25 that we're happy to engage in a conversation

1 about.

2 THE CHAIRMAN: Thank you. We have to  
3 break now for dinner. I will say, though, that we  
4 will certainly, or at least this member of the  
5 Council, will want to explore this more with the  
6 Department of Agriculture. I'll leave it at that.

7 So we will break now, and we will  
8 return at 6:30 to commence the public hearing  
9 portion.

10 (Whereupon, the witnesses were excused,  
11 and the above proceedings were adjourned at 5  
12 p.m.)

13

14

15

16

17

18

19

20

21

22


23

24

25

## 1 CERTIFICATE

2 I hereby certify that the foregoing 96 pages  
3 are a complete and accurate computer-aided  
4 transcription of my original stenotype notes taken  
5 of the Siting Council Hearing in Re: PETITION NO.  
6 1313, DWW SOLAR II, LLC PETITION FOR A DECLARATORY  
7 RULING THAT NO CERTIFICATE OF ENVIRONMENTAL  
8 COMPATIBILITY AND PUBLIC NEED IS REQUIRED FOR THE  
9 PROPOSED CONSTRUCTION, MAINTENANCE AND OPERATION  
10 OF A 26.4 MEGAWATT AC SOLAR PHOTOVOLTAIC ELECTRIC  
11 GENERATING FACILITY ON APPROXIMATELY 289 ACRES  
12 COMPRISED OF 5 SEPARATE AND ABUTTING  
13 PRIVATELY-OWNED PARCELS LOCATED GENERALLY WEST OF  
14 HOPMEADOW STREET, NORTH AND SOUTH OF HOSKINS ROAD,  
15 AND NORTH AND EAST OF COUNTY ROAD, AND ASSOCIATED  
16 ELECTRICAL INTERCONNECTION TO EVERSOURCE ENERGY'S  
17 NORTH SIMSBURY SUBSTATION WEST OF HOPMEADOW STREET  
18 IN SIMSBURY, CONNECTICUT, which was held before  
19 ROBERT STEIN, Chairman, at Eno Memorial Hall  
20 Auditorium, 754 Hopmeadow Street, Simsbury,  
21 Connecticut, on September 12, 2017.

22  
23 -  -----  
24

25 Lisa L. Warner, L.S.R., 061  
Court Reporter

## 1                   I N D E X

2    WITNESSES CLAUDE COTE                           PAGE 7

3                   JEFFREY GRYBOWSKI

4                   AILEEN KENNEY

5                   SUSAN MOBERG

6                   GORDON PERKINS

7                   JEFFREY PETERSON

8                   PAUL VITALIANO

## 9                   EXAMINERS:

10                  Mr. Hoffman                           9

11                  Mr. Mercier                           13

12                  Mr. Hannon

13                  Mr. Silvestri

14                  Mr. Lynch

15                  Mr. Harder

## 16                  APPLICANT'S EXHIBITS

17                  (Received in evidence)

18    EXHIBIT    DESCRIPTION                           PAGE

19    II-B-1    Petition for a Declaratory           12

20                  Ruling filed by DWW Solar II, LLC

21                  received June 29, 2017, and

22                  attachments

23    II-B-2    DWW Solar II, LLC's responses       12

24                  to Council interrogatories, Set I,

25                  dated August 28, 2017

1    I n d e x    (Cont'd):  
2

	EXHIBIT	DESCRIPTION	PAGE
3	II-B-3	DWW Solar II, LLC's proposed	12
4		field review driving route, dated	
5		September 1, 2017	
6	II-B-4	DWW Solar II, LLC's aerial	12
7		drone video footage of proposed	
8		site, dated September 1, 2017	
9	II-B-5	DWW Solar II, LLC's responses	12
10		to the Town of Simsbury	
11		interrogatories, Set I, dated	
12		September 5, 2017	
13	II-B-6	DWW Solar II, LLC's responses	12
14		to the Department of Agriculture's	
15		interrogatories, Set I, dated	
16		September 5, 2017	
17	II-B-7	DWW Solar II, LLC's sign posting	12
18		correspondence with photographs, dated	
19		September 5, 2017	
20			
21			
22			
23			
24			
25			